

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMONWEALTH OF PENNSYLVANIA
HOUSE OF REPRESENTATIVES
SUBCOMMITTEE ON TRANSPORTATION SAFETY

IN RE: EMISSIONS INSPECTION

* * * *

STENOGRAPHIC REPORT OF HEARING
HELD IN ROOM 418 MAIN CAPITOL
BUILDING, HARRISBURG, PENNSYL-
ANIA, ON TUESDAY,

FEBRUARY 25, 1992
10:00 A.M.

* * * *

HON. KEITH R. McCALL, CHAIRMAN

MEMBERS OF SUBCOMMITTEE ON TRANSPORTATION SAFETY

HON. DICK L. HESS
HON. JOSEPH F. MARKOSEK
HON. GREGORY M. SNYDER

ALSO PRESENT:

HON. PETER J. DALEY II
HON. RICHARD HAYDEN
ROBERT J. HOLLIS, EXECUTIVE DIRECTOR
NORTHEAST DELEGATION
PAUL LANDIS, MINORITY STAFF DIRECTOR
PAUL PARSELLS, EXECUTIVE DIRECTOR, HOUSE
TRANSPORTATION COMMITTEE

REPORTED BY:
JANICE L. GLENN
Court Reporter

DOROTHY M. MALONE, RPR
135 S. LANDIS STREET
HUMMELSTOWN, PA 17036
(717) 566-3109

200 pg
+

1992-126

AGENDA

<u>WITNESS:</u>	<u>PAGE</u>
Opening by Chairman McCall	3
William Titelman, Esquire and Al Weverstad, General Motors, Director, Emission Compliance Activity, Motor Vehicle Manufacturers Association of U.S.	6
Edwin Erickson, Regional Administrator, Region III, U.S. Environmental Protection Agency	41
Secretary Howard Yerusolim, PennDOT	63
Bruce Diehl, Vehicle Emissions Inspection Program, MD	94
James Bastone, Automotive Service Association of Pennsylvania	107
Secretary Arthur Davis, DER	115
Pete Laviola and Bill Strauss, Service Station Association of PA/DE	141
Gary Huggins, Coalition for Safer, Cleaner Vehicles	159
William Dell, Systems Control Corp.....	169
Adjournment	199

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 CHAIRMAN McCALL: The hearing of the
2 House Subcommittee on Transportation Safety will
3 now come to order.

4 Allow me to welcome my distinguished
5 colleagues. To my left is Representative Hess who
6 is the Minority Chairman of the Committee.

7 In the back row we have Representative
8 Markosek. Paul Parsells who is the Executive
9 Director of the House Transportation Committee.
10 And to my extreme right Representative Dick Hayden
11 who is doing some legislation on the Clean Air Act
12 Amendments also.

13 The purpose of this public hearing is
14 to explore the impact of the Federal Clean Air Act
15 of 1990 as it relates to Pennsylvania in one
16 specific area.

17 As most of us know the Clean Air Act
18 of 1990 impacts on all of us in many different
19 ways. However, the charge of this Subcommittee is
20 to analyze and define how the issue of mobile
21 source emissions can be controlled and reduced in
22 order to meet Federally mandated guidelines.

23 The Clean Air Act Amendments,
24 otherwise known as the Clean Air Act of 1990, was
25 signed into law on November 15, 1990. Section 103

1 of the Act addressed automobile hydrocarbon and nitrogen
2 oxide emissions creating new Federal auto emission
3 standards. Section 101 of the act outlines a time frame
4 for implementing the legislation.

5 The Environmental Protection Agency
6 was given nine months from the date of passage of
7 the Act until August 15, 1991. to develop and
8 issue minimum standards for inclusion in State
9 auto emission plans.

10 States then had up to one year to
11 develop and submit new proposed standards to EPA
12 that incorporated these new criteria.

13 While states are generally expected to
14 comply with the Federal standards the Act includes
15 criteria for seeking exceptions to the new Federal
16 guidelines. EPA then has up to six months to
17 review State plans and determine whether or not
18 they meet EPAs new minimum standards.

19 New State auto emission plans are
20 expected to be implemented no later than two years
21 from the date of enactment of the legislation, or
22 November 15, 1992.

23 Currently annual auto emission tests
24 are required in only eleven counties. These tests
25 are performed at State authorized motor vehicle

1 inspection stations, typically gasoline stations
2 and auto repair shops at a State regulated price
3 of eight dollars for each test.

4 However, as a result of the Clean Air
5 Act of 1990 an additional twenty-two counties have
6 been included to require emission testing. That
7 is a total of thirty-three counties, nearly half
8 of the entire State.

9 Governor Casey has recently written to
10 William Riley the Administrator for EPA urging his
11 governmental body to adopt the necessary
12 regulations in order that Pennsylvania may begin
13 implementing at the State level the necessary
14 requirements of the new Federal law to assist the
15 nation in cleaning up its environment.

16 Federally established deadlines have
17 been missed which is of great concern to
18 Pennsylvania in that we risk the loss of millions
19 of Federal highway money if we do not comply by a
20 certain date established by the Clean Air Act.

21 Today this Committee hopes to identify
22 what it is that Pennsylvania has to do in the
23 mobile source area to comply with the Federally
24 mandated requirements, and in what time frame
25 Pennsylvania must act.

1 Pennsylvania does not want to risk
2 losing millions of highway dollars because we have
3 not complied with the new Federal program.

4 You will be hearing today from a host
5 of individuals who are experts in their particular
6 fields. And I want to thank them all in advance
7 for taking time to participate in today's
8 proceedings.

9 With that I guess I should introduce
10 myself. I am Representative McCall the Chairman
11 of the Subcommittee for today's hearing. And I
12 would like to call upon Al Weverstad, General
13 Motors, Director, Emission Compliance Activity,
14 Motor Vehicle Manufacturers Association of U.S.

15 MR. TITELMAN: My name is Bill
16 Titelman. I want to thank you for being with us
17 for the delay as we set this up.

18 I'm an attorney and a partner in the
19 firm of Klett Lieber Rooney and Schorling and I'm
20 here today representing the Motor Vehicle
21 Manufacturers Association of the United States.

22 With me today is Allen Weverstad,
23 Manager of Emission Compliance Activities for
24 General Motors Corporation, and Nancy Hofmeister
25 who is with Fuel Economy and Emissions Control

1 Planning, Ford Motor Company.

2 These people are here today on behalf
3 of the Motor Vehicle Manufacturers Association of
4 the United States. They are both automotive
5 engineers.

6 Before they begin I would like to
7 mention one or two facts just for your
8 information. It is generally believed that the
9 automobile industry is not a significant factor
10 anymore in the economy of Pennsylvania.

11 You should be aware that the aggregate
12 number of manufacturer employees, those are
13 employees who are employed directly by the major
14 American Automobile Manufacturers here in
15 Pennsylvania, numbers over 6500 today.

16 The aggregate number of supplier
17 locations from which they purchase goods and
18 services and supplies in this State is over 2000.
19 And the aggregate volume of purchases by the
20 Automobile Industry from the State of Pennsylvania
21 is over \$3 billion per year. So I would just
22 point out that the automobile industry is still a
23 significant factor in the economy of the
24 Commonwealth of Pennsylvania.

25 I'll ask Al Weverstad from General

1 Motors to begin his presentation.

2 .His presentation takes approximately
3 twenty minutes uninterrupted, but he is pleased to
4 answer questions as he proceeds, so feel free to
5 interrupt him if you wish.

6 MR. WEVERSTAD: Often times it's
7 better if you see something that I haven't
8 explained properly to ask a question at the time.
9 I don't mind that. So with that, let's begin.

10 First of all, this is a very basic
11 slide and I apologize to those in the back that
12 can't see it, but what we have here is a slide on
13 the problem that we're talking about today and its
14 ozone. And it's not to be confused with the ozone
15 that there's a hole at the poles in Antarctica and
16 potentially one at the North Pole.

17 This is low level ozone. It's an eye
18 and lung irritant and it occurs, it's not directly
19 emitted by anything. It comes from hydrocarbons
20 and NOx which are pollution given off by
21 automobiles, stationary sources and natural
22 sources. But it occurs when hydrocarbons and NOx
23 are in the atmosphere in the presence of sunlight
24 then ozone is formed. It goes away at the end of
25 the day but it is formed in the presence of

1 sunlight.

2 So one of the factors in ozone
3 formation in addition to manmade and natural
4 sources is the amount of sunlight that we get. One
5 of the reasons that California's data is far
6 different than Pennsylvania.

7 Here's a slide taken in Folcroft,
8 Pennsylvania, which is in the Philadelphia area,
9 which is from 1988, the hottest month in 1988,
10 which was July. 1988 is an important year because
11 it was a high year because it was very warm. And
12 as you can see this line going across is the
13 ambient air quality level that Federal EPA wants
14 us to achieve, and the line is that data point
15 during the summer.

16 You can see it occurs on all days and
17 because of that we would expect that it is
18 sunlight related and is why Tuesday didn't have
19 any non-compliances, etcetera, and Sunday did.

20 What is your problem and how do you
21 compare it to Southern California?

22 I'm going to focus primarily my
23 discussion on the California vehicle. There's a
24 lot of discussion about the California vehicle and
25 that is one of your alternatives.

1 We think it's an expensive alternative
2 that you don't need to take right now, and
3 hopefully we will explain to you why you wouldn't
4 want to do that.

5 What you see plotted here is the
6 frequency of ozone exceedencies. This is the
7 amount of days in which at least one hour exceeded
8 the .12 parts per million requirement.

9 On the left side is plotted California
10 for 1988. On the right side is plotted
11 Pennsylvania.

12 The intention here is to show you that
13 in California 125 occurrences is a normal year.
14 Whereas in Philadelphia, which was the worst
15 location in the worst recent year, there were less
16 than twenty-five. In fact I'm going to show you
17 numbers here shortly that in 1991 the worst
18 location in Pennsylvania had nine occurrences.

19 Those nine occurrences, each
20 occurrence is approximately two hours long on
21 average. So you had eighteen hours out of 8,740
22 hours that you had a non-compliance. The
23 difference is dramatic.

24 It's about seven times as frequent in
25 California and the level is over twice as high of

1 ozone concentration in Southern California as you
2 have here in Pennsylvania.

3 Now that's not to say that any red on
4 that chart is acceptable. We recognize that we're
5 part of the problem, we want to help in the
6 solution, but what we want to do is apply the most
7 appropriate solution to the level of problem that
8 you have.

9 What we've plotted here is some data
10 also from 1988. The red line is 1988. The green
11 line is 1989 in the very same location. And as
12 you can see from 1988 to 1989 the ozone level, and
13 this is the concentration of the highest reading,
14 dropped in every case. And it dropped to the
15 point where you only in 1989 had two locations in
16 the State that had any ozone exceedencies,
17 Philadelphia and Pittsburgh. And the amount of
18 non-compliance has reduced from .2 to the worst at
19 that time which was about .16.

20 I apologize for this next slide. The
21 next slide is fairly detailed and busy but we just
22 received it and we didn't have a chance to replot
23 it. But let me point out the significant things.

24 Over here is the number of
25 exceedencies in a year and over here is the level

1 of the exceedents. This is the worst location
2 that you have in Pennsylvania. Bristol was the
3 worst location. In 1991 there were nine
4 exceedents.

5 The next worst location was Chester
6 which had three. And there were two locations,
7 Norristown and Scranton that had two. No other
8 location had more than one.

9 The level, if you remember what we
10 plotted in 1988 was .20, is now down to .144 as
11 the highest level. Keeping in mind that the
12 standard is .12.

13 What has caused this improvement?
14 Primarily two or three things. Number one, 1988
15 was an extremely hot sunny year. It exaggerated
16 the normal condition. If we plotted ozone over a
17 long period of time you would see that the highest
18 years were in the early '70s and it has been
19 reducing ever since. There was a blip in '88 but
20 it's more weather related than anything else.

21 The second thing that happened was RVP
22 control. The oil companies implemented re-vapor
23 pressure control, which is the volatility of the
24 fuel, the tendency for it to evaporate. That was
25 reduced and there was less evaporative emissions

1 and that showed up in the levels.

2 And the final thing is the turnover of
3 the vehicle. As we remove the old pre-1982
4 vehicles from the fleet emissions are coming down
5 naturally.

6 Furthermore, in 1990 the Clean Air Act
7 was passed that reduces exhaust emissions from
8 vehicles one more time. At the present time from
9 unregulated levels the automotive industry has
10 reduced hydrocarbons 96 percent. The Clean Air
11 Act will make us reduce it to 98 percent. So
12 we're shaving away at the last fraction, and we
13 all know that that's the most difficult fraction
14 and the most expensive.

15 We have a second chart of other
16 locations but they're all zero so there's no need
17 to talk about that.

18 Based on 1988 data which goes away
19 sometime during this year, this is the areas of
20 non-compliance, the worst area, the most severe is
21 in the Philadelphia area in the south. The rest
22 of the areas are relatively clean with attainment
23 dates in 1993 and 1996 as planned. And it appears
24 that with the normal turnover of vehicles you're
25 going to be very close to achieving those targets.

1 You have until 2005-2007 in Philadelphia to bring
2 that into attainment.

3 This shows the clean fuel low emission
4 vehicle rollout by county in the state and this is
5 a time line. These are when these counties need
6 to be in compliance. 1993 is for all of the
7 counties in blue. 1996 are the counties in
8 brown. And the 2005 are the counties in red.

9 I would like to point out that the
10 California vehicle option begins in 1993, but with
11 only ten percent of the new vehicles sold being
12 transitional vehicles. These are not true low
13 emission vehicles but they are reduced over the
14 Federal standards, and they're only ten percent of
15 the new vehicles sold.

16 In 1996 you get the first official low
17 emission vehicle and then only twenty-five percent
18 of the vehicles sold. And at our present selling
19 rate that's not a big impact unfortunately for all
20 of us.

21 The point of this slide is to say that
22 these counties will absolutely see no benefit of
23 low emission vehicles because they won't be in
24 sufficient number to impact the air quality. And
25 these counties have plenty of time, particularly

1 if you waited the first few years without
2 California low emission vehicles you are allowed
3 to jump into the program at any time in progress.

4 So our point out of this is that the
5 area that needs it you have time to introduce it.
6 The other areas are going to be in compliance well
7 before that.

8 What is this California program and
9 what is the status of the program?

10 One of the things we'd like to point
11 out is that the California program that we talked
12 about is not fully defined today.

13 This is a time line chart of when they
14 were supposed to have things done and how they are
15 going. They have set the numbers and the
16 numerical standards have been set and have been
17 reviewed.

18 They have said that they're going to
19 adopt clean fuel, but they haven't defined what
20 the clean fuels are.

21 They haven't defined what the
22 reactivity adjustment factor is, which is a
23 technical term, it's a multiplier that multiplies
24 the tailpipe number times this number to get you
25 the ultimate results. So we don't have one of the

1 most important factors, the reactivity adjustment
2 factor yet. They haven't reviewed that.

3 California recognizes this program was
4 technology forcing. They said that we know that
5 its not done presently but let's force the
6 technology, but as a safety valve we will have a
7 comprehensive program review twice before
8 introduction of these vehicles.

9 The first one was to be held this
10 spring. California has delayed that until this
11 November for a lot of reasons. One of which is to
12 obtain more data as to the technological
13 feasibility of this program.

14 At the present time California has
15 petitioned EPA for a waiver to allow them to have
16 different than Federal standards. That waiver
17 hearing was held last week. It is not expected
18 that EPA will rule on that until sometime this
19 summer. So at the present time there is no
20 approved California program and it's not fully
21 defined.

22 Signing up for the California program
23 at the present time would be essentially signing a
24 blank check.

25 Now this next slide tells you what

1 benefit you might achieve from this on a vehicle
2 basis, but this is the numbers that the proponents
3 of this type vehicle would present to you; not us.
4 Our feeling is that this probably overstates the
5 benefit, but even with that there's not much
6 benefit.

7 What you see plotted here is the
8 vehicle produced in 1988. This is the number that
9 is multiplied times the vehicle miles traveled to
10 give the total inventory to the atmosphere of VOCs
11 or pollution. And in 1988 it was 3.65 grams per
12 mile. 2.59 of which were due to evaporative
13 emission, refueling losses or vapor losses on the
14 vehicle.

15 I would like to point out that this
16 particular part of the pollution is not included
17 in the California plan. The Federal plan and the
18 California plan are identical for this portion of
19 the chart. The tailpipe emissions was what's
20 left.

21 So if you go to 2010 when all of
22 these vehicles will be fully in place, if
23 Pennsylvania and other states allow the Federal
24 Clean Air Act of 1990 to go forward, the vehicles.
25 So by doing nothing the vehicles will contribute

1 88.5 less on a vehicle mile traveled basis.

2 If you go forward with the California
3 program the proponent states that you'll gain
4 another percent and a half improvement.

5 We think that that might be an
6 overstatement, but certainly additional percent
7 and a half improvement is not going to be without
8 cost. And that's what our next slide will show.

9 The cost of this program according to
10 an outside consulting group from the University of
11 Michigan called the Automotive Consulting Group,
12 from our standpoint they picked a terrible name.
13 It sounds like they work for us, but in fact they
14 are associated with the University of Michigan and
15 are a totally independent group, went in and said
16 let's guess the cost or the price to the consumer
17 of the new technology required to meet these
18 standards. And at the time they did the study
19 California said all you need to do is add an
20 electrically heated catalytic converter to the
21 program.

22 DEC is what the State of New York says
23 it will cost for these components, and they
24 estimated a cost at \$290. The Automotive
25 Consulting Group estimated the cost at \$1000. Our

1 estimates are probably a lot closer to the ACG
2 because they left out certain things to have this
3 electrically heated catalyst.

4 The way the system works, when you get
5 in your car in the morning and start the engine
6 most of the tailpipe pollution occurs while the
7 catalytic converter is warming up to temperature.
8 So the intent of an electrically heated catalyst
9 is to take a battery and energize the catalytic
10 converter in twenty to thirty seconds.

11 What it's going to do is take the
12 catalytic converter temperature from whatever
13 ambient it is, maybe ten degrees, and raise it to
14 600 degrees in twenty seconds. So you can
15 recognize that's going to take a lot of energy.
16 We need another battery to do that.

17 It's going to take wiring and cable to
18 get that down there. It's going to take not an
19 extra alternator but a bigger alternator. It's
20 going to take a remote starter.

21 We at General Motors have had a lot of
22 experience with diesel engines in the early '80s
23 with glow plugs. And anyone that's ever owned one
24 of those vehicles can say boy I hated it
25 when I got out there in the morning and I saw this

1 little light that said wait to start. Nobody
2 wants to wait even twenty or thirty seconds to
3 start. We want a push button start when we come
4 out the door. When you add up those component
5 costs it's a thousand dollars.

6 Now I also would like to point out
7 that at the waiver hearing the State of California
8 admitted that it's going to take more than a
9 electrically heated catalyst to meet their numbers.

10 The electrically heated catalyst is a
11 good start and the biggest component, but it's
12 going to take additional costs and additional
13 hardware besides that.

14 Now what will that cost do to us in
15 the business, dealers and the air quality? The
16 same consulting group said that if you raise
17 prices a thousand dollars you're going to lose
18 another ten to fifteen percent of sales.

19 That impacts us from a bottom line
20 standpoint. It impacts you from a sales tax
21 standpoint. And it impacts dealers that may be
22 what's keeping them in business now. And it will
23 also impact air because those cars that aren't
24 bought will be the ones that actually continue to
25 clean up the air.

1 Now what is the benefit of the program
2 in our opinion? What we have plotted here is the
3 total fleet. This is the grams per mile that you
4 would multiply by and it's plotted from 1995
5 through 2010.

6 It includes a couple of assumptions.
7 It includes the assumption that there still is a
8 pollution problem in the year 2003 and Federal
9 tier two standards kick in.

10 We think that's a fair assumption
11 because if you need a low emission vehicle program
12 you obviously are going to be out of compliance
13 and would need the tier two standard.

14 The tier two standard is a default
15 mode. EPA must go forward with tier two unless we
16 can prove that it's impossible to do or it's of no
17 benefit. And in either case we don't think that's
18 a likely outcome.

19 So if you take a look at the green
20 line that's what happens to the inventory if you
21 do nothing and let the 1990 Clean Air Act take its
22 place.

23 The red line which you can see a
24 little bit below here and a little bit above
25 there, is what would happen if you take the

1 California program and assume it deteriorates at
2 the rate that EPA, who I might point out is the
3 ultimate judge on this, would expect. It's
4 essentially the same line. And the blue line is
5 the deterioration or the aging process that
6 California anticipates.

7 In order to prove the benefit of the
8 program California said that not only will you
9 make the emissions better when you start the
10 vehicle, but you will develop technology that
11 makes it age more gracefully. We don't think
12 that's possible.

13 Now that outcome doesn't make a lot of
14 sense because you drop the tailpipe standards in
15 half and in half and you don't see any benefit.
16 How could that be? So I'll try to give you some
17 background.

18 One of the things that I will point
19 out is that in the entire, there's a word called
20 ROMNET, it stands for Regional Ozone Model,
21 Northeast Transport. It's a mathematical model
22 that EPA conducts that tries to predict what kind
23 of ozone will happen in the future.

24 Remember that we don't give off ozone
25 from vehicles or from stationary sources, so you

1 need a math model to try to predict it. It's a
2 very complicated model and it's a model that is
3 constantly being improved. In fact there's going
4 to be a major step taken hopefully this summer as
5 they upgrade it.

6 If you take a look at the 1985
7 inventories over the entire region the VOC's come
8 from a lot of sources as we pointed out. On an
9 average over the Northeast Region fifty-six percent
10 of the VOC's come from natural sources. They come
11 from trees. They come from swamps. But obviously
12 there isn't anything we can do about that and
13 there's nothing that we want to do about that.
14 And also in urban areas that ratio changes.

15 So for purposes of this evaluation
16 we're going to assume downtown Philadelphia and
17 there the natural contribution is far less. The
18 natural contribution of downtown Philadelphia is
19 about twenty-six percent. Seventy-four percent of
20 the precursors or of the pollution is manmade.

21 Of that seventy-four percent, thirty-
22 four percent of that is from highways, mobile cars
23 and trucks. Forty-percent is from factories,
24 stationary sources.

25 So we're thirty-four percent of the

1 problem in the urban area; less in the more rural
2 areas. But of that, as we pointed out earlier,
3 we're only a portion of it as the California law
4 emission vehicle aimed at. Twenty-five percent of
5 the mobile contribution in 1985 was from
6 evaporative emission of the total. And only 8.8
7 percent was from exhaust tailpipes. So this
8 emission standard is aimed at only 8.8 percent.

9 Now the real question would be not
10 what it was in '85, but what's it going to be in
11 2010? How much would these low emission vehicles
12 impact the year 2010?

13 So we take those numbers that we
14 plotted before. We keep the natural sources the
15 same, the total contribution, it ends up the
16 percentage is larger but the percentage is larger
17 because everything else is reduced. So if you
18 keep that constant and you reduce the total pie
19 the natural becomes a bigger percentage.

20 So that in the year 2010 assuming that
21 we've been successful half the pollution will be
22 from natural sources in Philadelphia. Thirty-three
23 percent will be from stationary sources. And
24 eighteen percent will be from mobile sources.
25 Of that eighteen percent, fourteen percent is

1 evaporative and only four percent is exhaust.

2 Now when you take into account that of
3 the exhaust there is reformulated gasoline impact
4 and there are vehicles, only new vehicles meeting
5 the standard for this impact, Pennsylvania in 2010
6 any benefit that we showed for low emission
7 vehicles is multiplied by this. Tailpipe
8 contribution is only 1.4 percent.

9 So if you have a seventy-five percent
10 improvement in emission standards, you take
11 seventy-five percent times 1.4 percent and that's
12 the impact on the total VOC's.

13 So the summary of that slide is that
14 if the left program is adopted Pennsylvania will
15 spend additional dollars for each car, about a
16 thousand dollars a car. They'll spend additional
17 dollars for fuel.

18 We've calculated the fuel economy loss
19 for the added weight and the additional electrical
20 load, and the cost of the reformulated gasoline
21 over the useful life of the vehicle will increase
22 the owner's cost another \$1400.

23 So the owner of these new vehicles
24 are going to be faced with almost \$2400 additional
25 cost to gain less than two percent. In fact to

1 gain less than one percent in the total VOC
2 inventory.

3 Now there are other ways to achieve
4 the benefits needed and our suggestion is that the
5 State of Pennsylvania look at all of them and pick
6 the ones that are most appropriate and easiest to
7 implement for you.

8 For example, in 1990, thirty-five
9 percent of your cars were driven only twenty-six
10 percent of the miles. These are the vehicles
11 older than 1982. But they contributed nearly two-
12 thirds of the hydrocarbons and VCO's and over half
13 of the NOx. So the problem is old cars. And
14 those old cars are going to filter out of the
15 fleet on their own. Hopefully there are ways we
16 can accelerate that removal from the fleet, but
17 they will filter out of the fleet.

18 We think that the California vehicle
19 is like salting your food before you taste it. We
20 think that if the Clean Air Act is allowed to run
21 its course, with your level of non-compliance you
22 will be in compliance with other processes well in
23 time and you won't need to do this.

24 MR. TITELMAN: Al, I'd like to
25 interrupt you with a question if I could.

1 MR. WEVERSTAD: Sure.

2 MR. TITELMAN: As you said the other
3 day to me, that the effect of removing one pre-
4 1982 car from the road.

5 MR. WEVERSTAD: Yes, let me give the
6 number. One of the things we calculated was what
7 is the benefit of this reduced tailpipe number
8 vehicle in 2010 over a Federal vehicle? Then we
9 compared that to removing one pre-1982 vehicle
10 from the road.

11 It ends up that it will take 122 low
12 emission vehicles to equal putting one pre-1982
13 car on the road. So we've got to do a lot of car
14 sales in order to impact removing these old cars.

15 What happens if you wait two years and
16 then decide we've got a problem. We need to have
17 these California cars?

18 Well first of all you jump into the
19 program in process. You would begin at twenty-
20 five percent LEV's. You would miss the first two
21 years of TLEV's, ten percent and fifteen percent
22 of your sales. And what would the impact be on
23 the total inventory? You can't calculate the
24 difference. The impact is so small because of the
25 phase-in that there would be absolutely no

1 difference at all.

2 That's it. We'd be happy to answer
3 questions. We would also be happy to come back
4 again, go through details.

5 We've worked with the DER. Found that
6 they're very helpful and very positive people. We
7 will be happy to continue that process.

8 MR. TITELMAN: Al, could you briefly
9 comment on the Industry's position with respect to
10 the enhanced inspection and maintenance program?

11 MR. WEVERSTAD: Our feeling of that
12 enhanced inspection and maintenance is as EPA
13 pointed out, more cost beneficial than going to a
14 low emission vehicle program. And it's a good way
15 to remove some of the polluting vehicles or at
16 least identify them.

17 What we think you ought to do though
18 is look at the benefits that you need and then
19 look at what benefits are possible, and what costs
20 are associated with it and then pick the right
21 solution to your level of problem.

22 You really need to know where you're
23 going to be in '93 and in '96 from a pollution
24 level standpoint. And you need to know what the
25 impact of each of these potential solutions are.

1 And then choose the right hammer for the size nail
2 or the size problem that you have. Don't hit it
3 with a sledgehammer if you can hit it with a tack
4 hammer.

5 MR. TITELMAN: Al, one other thing I'd
6 like you to observe on. What's happened, what is
7 it that has happened to the aging of the fleet as
8 a result of increasing costs of automobiles over
9 time?

10 MR. WEVERSTAD: We looked at that and
11 part of the reason that we're not as successful a
12 company as we used to be is that people hold onto
13 cars a lot longer.

14 In 1970 one percent of the vehicles
15 were fifteen years or older. In 1990 eight
16 percent of the vehicles were fifteen years or
17 older.

18 We like to think that it's because we
19 build our cars a lot better and they last a lot
20 longer; but realistically it's because people can't
21 afford them as well as they could in the past.

22 CHAIRMAN McCALL: Questions? Dick.

23 REPRESENTATIVE HESS: You raised and I
24 think EPA also raised the issue about retiring
25 older cars.

1 I live in the City of Philadelphia.
2 An environmental group, The Clean Air Council,
3 sued Pennsylvania for failing to comply with
4 ground level ozone under the 1977 Act. The case
5 has been kicking around but during the course of
6 the negotiations over a consent decree, this was
7 not an attainment issue, one of the issues being
8 discussed was in fact the issue you mentioned,
9 which is retiring older vehicles.

10 The information that this attorney got
11 from PennDOT for the five county Philadelphia
12 region, which was the subject of the suit, showed
13 that since November of 1990 there were 26,400 cars
14 registered that were pre-1970. The total cars
15 that were pre-1981 were 417,000 cars.

16 It seemed like a pretty high number to
17 me and if you use your figures here, that it takes
18 one pre-1980 car in terms of your actual emissions
19 offset that you're going to get, you're going to
20 need 122 California low emission vehicles.

21 It would seem that a program which
22 would effectively help to remove these cars from
23 the road would get you 1993 credits toward ozone
24 attainment at a much more efficient rate than the
25 adoption of the California LEV car.

1 My question is have the Automobile
2 Manufacturers Association either as a trade
3 association or as individual companies figured out
4 a way to help underwrite the removal of those cars
5 from the highway?

6 I'm aware of one program funded by one
7 of the oil companies, I guess UNICAL in Southern
8 California, which went into a very successful
9 voluntary program where UNICAL, and I think there
10 were other oil industry folks who put up the
11 money, but the demand for, I think it was around
12 \$500 per car, far exceeded the amount of money
13 that they dedicated for that fund. So I'm
14 wondering if the manufacturers have figured out a
15 strategy perhaps to help us here in Pennsylvania
16 help retire these cars?

17 MR. WEVERSTAD: We have wrestled with
18 that internally just slightly. There are some
19 problems associated with that for automobile
20 manufacturers primarily because if we put a \$500
21 bounty on it the administration of that program is
22 something that would be difficult for us to do.

23 It would obviously have to be--

24 REPRESENTATIVE HESS: We could
25 administer it here.

1 MR. WEVERSTAD: It would have to be
2 done by the DMV. The second problem that we have
3 is that we like to sell new cars and it's hard to
4 associate removing one of those old cars from the
5 fleet and getting a new car sold. But it makes
6 good sense and we talked about it this morning.

7 I'd like to take a pass on it for the
8 present time and take it back and review it with
9 the Motor Vehicle Manufacturers Association and see
10 what we can come up with. I think it's a good
11 suggestion.

12 REPRESENTATIVE HESS: Thank you.

13 CHAIRMAN McCALL: Al, isn't the major
14 difference in the California car a heated
15 catalytic converter?

16 MR. WEVERSTAD: At the present time if
17 you believe California they say that was the item
18 that you needed to meet these standards. At the
19 last waiver hearing they said well it's going to
20 take more than that.

21 I would point out that no one has ever
22 been able to show that they can meet these
23 emission standards for the hundred thousand mile
24 requirement of the law.

25 It ended up that the standard not only

1 was reduced, but that the length of time was
2 doubled.

3 California has one vehicle that has
4 gone 7000 miles that meets the hydrocarbon
5 standard but fails the NOx standard. That's the
6 best data that exists.

7 CHAIRMAN McCALL: And you spoke to
8 reformulated fuel. Is that oxygenated fuel?

9 MR. WEVERSTAD: No, not necessarily.
10 Reformulated fuel defined by Federal EPA is a
11 fifteen percent reduction in mass in the year
12 1996.

13 Essentially cars are going to produce
14 emissions. It's you are what you eat. Depending
15 on the type of gasoline that goes in the amount of
16 pollution comes out the back differently. So
17 Federal EPA has defined the reformulated gasoline
18 to have a fifteen percent mass reduction in '96
19 and a twenty-five mass reduction in the year 2000.

20 It's expected that this is going to
21 cost additional money. You'd have to ask the oil
22 people exactly the cost, but my guess or my memory
23 says its about ten to fifteen cents a gallon for
24 that.

25 California has--

1 CHAIRMAN McCALL: What about the set-
2 up of the car?

3 MR. WEVERSTAD: Pardon.

4 CHAIRMAN McCALL: What about the set-up
5 of the car with that reformulated fuel?

6 MR. WEVERSTAD: The California Vehicle
7 Emission System is designed to operate on
8 California based two gasoline, which the oil
9 companies call severely reformulated. It goes
10 beyond, potentially beyond what the Federal twenty-
11 five percent reduction is. And it's expected to
12 cost maybe twenty to thirty cents per gallon.

13 The vehicle will operate on Federally
14 reformulated gasoline, but we would not honor
15 recall of that vehicle if it was used on Federally
16 reformulated gasoline.

17 MR. TITELMAN: That's a twenty to
18 thirty increase.

19 MR. WEVERSTAD: That's another twenty
20 to thirty percent increase.

21 CHAIRMAN McCALL: But again back to
22 the car. I just find it hard to believe that it
23 could cost a thousand more dollars for a LEV or
24 low emission vehicle car when it seems to me it's
25 just the catalytic converter that we're changing.

1 How do we get to the thousand dollar figure?

2 MR. WEVERSTAD: Let me walk you
3 through the numbers and let me tell you about how
4 finite a slice we're talking about.

5 Remember I said the Federal Clean Air
6 Act takes us from 96 to 98. The Low Emission
7 Program takes us to 99.5 percent. So we're
8 talking the very last fraction.

9 We're talking levels of emissions that
10 first thirty seconds of operation of the catalytic
11 converter. We at General Motors are working--
12 When you go to start your car this afternoon when
13 you go home and you turn the key, the engine will
14 turn over three or four times while the computer
15 determines where the center is so it knows when to
16 fire fuel and when to fire spark to light the
17 match.

18 We're trying to make it so it will
19 start on the very first revolution. We're talking
20 about getting it to start to save you two
21 revolutions on the cold start. Those are very
22 very small improvements but they're very very
23 expensive improvements because they're the very
24 last ones.

25 Now electrically heated catalyst, the

1 catalyst cost on there itself is only about \$220
2 my recollection says, in that range. But then you
3 need all of the attendant it takes to make that
4 operate. You can't just put this on. You've got
5 to run wire to it. You've got to put a battery in
6 the trunk for it. You have to put a shield around
7 the battery because no one wants a battery
8 rambling around in the back.

9 CHAIRMAN McCALL: Do you really think
10 it's necessary to put another battery in?

11 MR. WEVERSTAD: Absolutely. Try to
12 envision something that's ten degrees and in
13 twenty seconds you put energy into it and heat it
14 up to 600 degrees Fahrenheit. Try to imagine it.
15 We're talking on the range of 660 amps. It's a
16 tremendous amount of energy to download into a
17 device.

18 CHAIRMAN McCALL: What I'm getting at
19 is that the bottom line with the California car is
20 basically an enhanced catalytic converter.

21 MR. WEVERSTAD: An enhanced catalytic
22 converter and there will be some other
23 improvements. For example, right now we have
24 throttle body fuel injection which is a fuel
25 injector that you still use as an intake manifold.

1 That will be a thing of the past. We'll have to
2 go to sequential torque fuel injection for every
3 vehicle, so that will increase costs.

4 We'll have to go to ABITs ignition
5 which is angle based ignition timing. So we'll
6 have to know each degree of the engine's spinning
7 so we know exactly what you want out of 360
8 possible degrees its at at any one time.

9 We'll need to know that cylinder to
10 cylinder. And we'll have to be able to control
11 air/fuel ratio very very closely.

12 In fact one of the things that we've
13 seen in calibrating this is that the same
14 calibration will make a car pass on one car, you
15 put an identical car next to it, you pull out the
16 hardware and put it on that car, it no longer
17 passes. Car to car variation has to be non-
18 existent to meet these numbers.

19 These levels of .04 grams per mile,
20 it's going to even require a different emission
21 lab because the level of emissions is so small we
22 can't even measure it at the present time.

23 CHAIRMAN McCALL: You spoke of the
24 evaporation being a major contributor to the grams
25 of VOC's. What about introducing a larger

1 canister into the car, would that help?

2 MR. WEVERSTAD: Not necessarily. The
3 point of that is that there are additional
4 requirements for evaporative emission, and we're
5 taking those.

6 There is a new test procedure. We're
7 going to do what we call a real time diurnal
8 program and we are improving the efficiency of the
9 evaporative emissions canister.

10 But that program and the California
11 program are identical. To have the Federal
12 program or to have the California program,
13 essentially you get the same hardware and the same
14 program, and you're going to get that for free.
15 The price of the car may change, but what I'm
16 saying is the state gets it for free.

17 CHAIRMAN McCALL: Thank you.

18 MR. TITELMAN: I'd just like to make
19 if I could one concluding remark on behalf of the
20 Motor Vehicle Manufacturing Industry, and that is
21 that there are many uncertainties in the
22 California program. The magnitude of the problem
23 now and in the future. The magnitude of the
24 benefits, if any. The cost of the program.

25 We do know that there's a two year

1 delay to study and will not adversely affect the
2 potential benefit of the California program.

3 We know that the vehicle price will
4 substantially increase approximately \$1000. The
5 cost of gasoline, twenty to thirty cents a gallon
6 increase. Likely sales loss due to this increase,
7 ten percent.

8 Of the fifteen percent, I remind you
9 that Pennsylvania today employs over 6500 people
10 directly in the automobile manufacturing industry.
11 That there are more than 2000 supplier locations
12 in the state aggregating over \$3 billion in sales
13 that will be impacted by such a decline in sales.

14 And there are other more immediate
15 programs available which will be of far greater
16 benefit, particularly the enhanced inspection and
17 maintenance program and getting old cars off the
18 road at a greater rate of speed.

19 I might point out that New York has
20 legislation to get rid of old cars and that might
21 be a good place to look.

22 Also the Ozone Transport Commission,
23 there was a lot of talk about the thirteen states
24 and the environmental executives from those states
25 agreeing with the California program. The fact of

1 the matter is that if you look at the record of
2 program the states of Maine and New Hampshire are
3 not expecting to take any action this year at all.

4 The Governor in Maine is backing away
5 from the program. Vermont has voted in committee
6 four to two against it. It's dead.

7 Massachusetts did pass the program.
8 The current Governor is reconsidering it. There
9 is a study requirement now which is to be
10 completed soon.

11 Connecticut, the Governor there has
12 held it off. There is a study going on there.

13 In New York while regulations are
14 supposed to be introduced administratively this
15 year, the Legislature is taking serious issue with
16 it and one of the Senators has introduced
17 legislation to require a two year study before any
18 action can be taken.

19 New Jersey, although the regulation
20 was introduced last week, the same questioning
21 process by the Legislature is occurring.

22 Maryland is conducting hearings in
23 February and March on the issue.

24 Delaware and Virginia have both
25 decided not to take action this year. The program

1 was defeated in the Virginia Legislature. They
2 both agree that there is not enough data to make a
3 decision now.

4 In Rhode Island no action is expected
5 this year.

6 Those are the states, the other states
7 in the Northeast Ozone Transport commission. And
8 I would point out that our industrially
9 competitive states, states that we compete with
10 for jobs, that our workers compete with for jobs,
11 Illinois, Texas, Ohio, Indiana, West Virginia,
12 Kentucky, Tennessee and North Carolina, not a
13 single one of them plans action to go to the
14 California low emission vehicle.

15 I thank you for your consideration.

16 CHAIRMAN McCALL: Thank you.

17 I would now like to call upon Ted
18 Erickson, Regional Administrator for Region III of
19 the U. S. Environmental Protection Agency.

20 MR. ERICKSON: Good morning, Mr.
21 Chairman and members of the Subcommittee. Thank
22 you for including us in this hearing today.

23 I have with me today Thomas Maslaney
24 who is the Division Director for the Air Toxic and
25 Radiation Division in Region III, EPA.

1 We have provided to you written
2 testimony and let me now summarize some of the
3 points made in that testimony if I may.

4 Vehicle traffic generates about one-
5 half of the pollution that ends up in our air. In
6 some ozone nonattainment areas the percentage is
7 even higher.

8 Of all highway vehicles, passenger
9 cars and light trucks emit most of the vehicle
10 related carbon monoxide and ozone-forming
11 hydrocarbons. They also emit substantial amounts
12 of nitrogen oxide and toxic air pollutants.

13 Although we have made tremendous
14 progress in reducing emissions of these pollutants,
15 total fleet emissions remain very high. This of
16 course is because the number of vehicle miles
17 traveled on U. S. roads has doubled in the last
18 twenty years to two trillion miles per year -
19 offsetting much of the remarkable technological
20 progress in emissions control over these same two
21 decades.

22 In 1988 in Pennsylvania alone, vehicle
23 miles traveled totaled over 83 billion miles.
24 Projections indicate a steady growth in the same
25 number of miles traveled.

1 I would like to pick up on a point
2 that you mentioned earlier please, Mr. Chairman.
3 It is that EPA has missed the November, 1991, due
4 date for promulgating I/M guidance. However,
5 there is current consensus on the necessary
6 minimally acceptable elements to provide the basis
7 for supporting a high tech I/M program. And I
8 believe that that should not be the major focus of
9 today's hearing.

10 We have in EPA been working with
11 Secretary Yerusolim and Davis as we look forward
12 to designing a program in the Commonwealth of
13 Pennsylvania that will address the necessary
14 elements of your program. And we look forward to
15 continuing in a cooperative fashion to work with
16 these individuals.

17 I should also touch on a couple of
18 other issues before getting into the major issues
19 today. And that is that we've heard much about
20 the California's Low Emitting Vehicle standards, or
21 the so called California car.

22 We have also heard about tighter
23 Federal standards that will begin to govern in
24 1994 some of the reductions that will be achieved.

25 However, benefits from these programs

1 will not be realized before the attainment
2 demonstration deadlines and, furthermore, will not
3 be sufficient to reach attainment without an
4 enhanced inspection and maintenance program. So
5 it is this enhanced inspection maintenance program
6 that I'd like to concentrate on this morning.

7 The concept behind an I/M program is
8 to ensure that cars are properly maintained in
9 customer use.

10 I/M produces emission reduction
11 results soon after implementation of the program
12 and it's critical if we fully realize the benefits
13 of the new clean vehicles and clean fuels programs
14 scheduled for phase-in over the next ten years,
15 because they will help to ensure that vehicles
16 function in a proper manner.

17 One of the most cost effective means
18 to attain the reduction in emissions is through an
19 enhanced I/M program.

20 The new law that Congress passed
21 established an ozone transport region in the
22 Northeastern United States which includes the
23 Commonwealth of Pennsylvania. The Act requires
24 enhanced I/M programs in all metropolitan
25 statistical areas located in that ozone transport

1 region which have a population of 100,000 or more
2 people.

3 Let me turn for a moment then to what
4 makes up in the opinion of EPA an effective I/M
5 program.

6 EPA and State audits have shown that
7 the simple idle test used in today's programs is
8 quickly becoming obsolete. This type of test
9 works extremely well for pre-1981, carbureted, non-
10 computerized cars because typical emission control
11 problems involved "rich" air/fuel mixtures that
12 affected idle as well as cruising emissions.

13 Today's computer controlled cars
14 continuously adjust engine operations and cannot be
15 effectively tested at idle. Emissions must be
16 tested during high emission acceleration and
17 deceleration driving modes to reliably test sensor
18 and computer operation and identify "high
19 emitters."

20 The shortcoming then of the current
21 test is an inability to detect evaporative
22 emissions as well.

23 Over the last several years we have
24 learned that vapors which escape from various
25 points in the vehicle fuel system represent a high

1 source of hydrocarbon emissions, generally greater
2 than tailpipe exhaust.

3 EPA has developed two functional tests
4 which can determine whether vehicle evaporative
5 emission control systems are operating properly.

6 The first is a simple pressure check
7 to find leaks in the fuel system. The second is a
8 check of the "purge" system that removes gasoline
9 vapors stored in the charcoal canister and routes
10 them to the engine where they can be burned.

11 With these issues in mind, EPA has
12 developed a high-tech emissions test for today's
13 high tech cars.

14 The test simulates actual driving and
15 allows conditions and allows accurate measurement
16 of tailpipe emissions and evaporative system purge.

17 Unlike idle tests, it can also
18 accurately measure emissions of nitrogen oxides or
19 NOx. And this is especially important in the
20 Northeastern United States where control of NOx is
21 important to address the ozone problem. This is
22 true, of course, because NOx emissions, along with
23 volatile organic compounds, are precursor
24 pollutants of ozone smog.

25 This high-tech test is so effective

1 that testing every two years yields almost the
2 same emission reduction benefits as annual testing.

3 In EPA's research doing the test right
4 has proved far more important than doing it often.

5 We estimate that a high-tech test in a
6 high volume system will cost about \$18 per car, or
7 of course breaking down to \$9 per year. And this
8 is in line with the average cost of today's I/M
9 programs.

10 A misconception that comes up
11 frequently is the belief that these high-tech
12 tests require a so-called centralized testing
13 program. This is not necessarily true.

14 Often the term "centralized" refers to
15 an I/M program with test only stations where a
16 large volume of tests are performed by the state
17 or by a single contractor at a few specific
18 locations.

19 A traditional "decentralized" program
20 on the other hand is one where a relatively low
21 volume of tests are conducted by numerous small
22 businesses which also often perform vehicle
23 repairs.

24 High-tech I/M testing can be done by
25 independent small businesses. Of course, the

1 high-tech testing equipment is more expensive, we
2 certainly recognize that, and therefore may drive
3 a system with fewer high volume test only
4 stations.

5 Such independent high volume test only
6 stations are now operating in several states. And
7 examples of that are Texas and California. These
8 I/M programs with independent test only stations
9 actually generate an increase in the number of
10 vehicles requiring repair.

11 So let me stress then please if I may
12 that we are supporting a high volume test only
13 situation.

14 Regardless of the test format, good
15 quality control and enforcement measures are
16 critical for a fair, yet effective inspection
17 program.

18 As mentioned earlier, Pennsylvania is
19 facing a Clean Air Act mandate to reduce overall
20 emissions by an average of three percent per year.
21 Effective high-tech I/M programs can make an
22 enormous contribution towards this goal.

23 Emission reductions the Commonwealth
24 achieves through I/M can help offset the emissions
25 generated by the growth in vehicle miles traveled

1 and allow for new industrial growth.

2 Any needed reductions not achieved by
3 mobile source related strategies, such as I/M,
4 will have to be achieved by industry to meet the
5 Clean Air Act requirements.

6 Tougher more comprehensive controls on
7 industrial sources could make it more difficult
8 for industrial growth in the Commonwealth of
9 Pennsylvania.

10 Not only is high-tech I/M the most
11 beneficial air pollution control program we know
12 of, it is also the most cost effective.

13 High-tech I/M is seven times more cost
14 effective than tighter new car tailpipe standards
15 and at least ten times more cost effective than
16 additional controls beyond reasonably available
17 control technology which is the level of control
18 currently required on small and large industrial
19 sources.

20 It remains cost effective to adopt I/M
21 for the volatile organic compound reductions it
22 achieves alone, not to mention the carbon
23 monoxide and NOx reductions that would also be
24 achieved.

25 And let me conclude then by just

1 summarizing that an enhanced program would achieve
2 a thirty percent reduction in vehicle hydrocarbon
3 emissions plus a thirty percent reduction in
4 carbon monoxide emissions, and in excess of ten
5 percent reduction in NOx emissions.

6 It is as I mentioned ten times more
7 cost effective than other control options.

8 It provides precise diagnostic
9 information to target effective repairs, saving
10 vehicle owners time and money.

11 The Biennial testing means less hassle
12 and lower testing cost for car owners.

13 The cost of repair of cars pursuant to
14 problems discovered by I/M tests is largely offset
15 by the savings in fuel costs because properly
16 functioning cars are more fuel efficient.

17 It can be operated under a
18 decentralized or centralized system.

19 It provides a big step towards the
20 required annual average three percent overall
21 emission reduction.

22 Thank you. We will be happy to answer
23 any questions that you have.

24 CHAIRMAN McCALL: Any questions by
25 Committee members?

1 Dick.

2 BY REPRESENTATIVE HAYDEN:

3 Q. Mr. Erickson, the Philadelphia Air Region
4 includes parts of Camden County, New Jersey, as
5 well as parts of the State of Delaware. I'm
6 curious as to what the stage of development is in
7 those two states with their I/M programs?

8 Are they further along than we are here in
9 Pennsylvania? Have you approved a potential
10 enhanced I/M program for either of those two
11 states?

12 A. There is something called the Northeast
13 Ozone Transport Commission and through that
14 Commission they are trying to support in a very
15 conservative fashion, and in a cooperative fashion,
16 the movement of the I/M programs and other
17 measures that will be necessary.

18 New Jersey is in Region II EPA. I don't
19 know exactly where they stand. They are
20 discussing the enhanced I/M program in both New
21 Jersey and in Delaware.

22 I think the latest that we have is
23 that there is serious consideration being given to
24 the adoption of a program, an enhanced I/M program
25 in both of those states.

1 BY CHAIRMAN McCALL:

2 Q. Can you explain the high-tech test? Will
3 you just go through that once for me for my
4 information?

5 Are you speaking about basically a
6 centralized system where you speak to high volume?

7 A. Yes. That obviously is not something that
8 we have in place to dictate to any of the states.
9 However, the thought behind that was that the
10 equipment that was going to be necessary to do
11 this dynamic test will probably be more expensive
12 than the existing equipment. And of course because
13 the existing equipment will not be satisfactory to
14 do the testing there will be a requirement to buy
15 additional equipment.

16 Therefore, to offset the cost of that
17 equipment it probably would be best to have a high
18 volume of cars running a particular location and,
19 therefore generate the funds to to pay for that
20 equipment.

21 Q. Do you have any idea what the cost of that
22 equipment would be?

23 ANSWER BY MR. MESLANY:

24 A. It's somewhere between \$150,000 and
25 \$200,000 per lane. A lane would be one lane of

1 testing. You could set up a shop with multi-
2 lanes.

3 Q. And what type of equipment? What kind of
4 equipment are we talking about?

5 A. Well the major piece of equipment would be
6 the dynamometer. The dynamometer is to place the
7 car under a loaded condition so you can test the
8 car accelerating and decelerating and get a true
9 representation of what the emissions would be
10 coming out of the tailpipe while the car was
11 performing on the road.

12 Incidentally, that component of the
13 testing is a modification of the testing
14 certification we use for new cars when we test
15 Detroit's cars up in Ann Arbor.

16 So we've had many many years of experience
17 with that type of a testing system where we check
18 a car under a loaded system.

19 That's the main expense, dynamometer.
20 There will be some modification of the testing
21 equipment.

22 There are two other major components of
23 the tester as Mr. Erickson indicated, and they are
24 much simpler in both cost and operation, and that
25 is the test for first of all vapor recovery.

1 And that is each car has a canister in
2 there where vapors are caught in that canister and
3 then as the car accelerates are pulled off that
4 canister and are burned in the engine.

5 In order for that vapor recovery system to
6 work we not only have to test that that is holding
7 and can be pulled off, but we have to make sure
8 that the system is sealed.

9 You know on a hot day when you open up
10 your car you feel the pressure in your car, in a
11 new car, and when you open up the gas tank. That
12 means that that car's system is sealed. Nothing
13 is escaping outside. It's being all caught in the
14 vapor recovery system in the canister. And so we
15 test the car to make sure that it also holds the
16 seal and all those gas vapors that are in there.

17 So those are the three main components.
18 And the way the lane would be set up would be that
19 you would go through a number of stations and the
20 car would move down.

21 We estimate that the testing time would be
22 somewhere between probably fifteen and twenty-two
23 minutes.

24 Q. Where would the requirement for that
25 canister come from, the canister in the

1 automobile? Would that be right in the
2 automobile?

3 A. The canister is already on. The issue you
4 may be thinking of with onboard canisters, that is
5 in increasing the size of the canister. But there
6 is currently canisters on cars.

7 Q. Any idea or time frame when EPA is going
8 to come out with any of their regulations?

9 ANSWER BY MR. ERICKSON:

10 A. Well as I indicated we--

11 Q. Our concern is the loss of Federal dollars
12 if we don't have something in place.

13 A. Of course. And I can't commit to you that
14 there would not be sanctions imposed even in spite
15 of the fact that we have not promulgated the
16 guidelines.

17 The guideline promulgation process is in
18 action at this point in time. The guidelines have
19 been submitted by EPA to OMB, Office of Management
20 and Budget.

21 They are being reviewed over there now.
22 And I obviously cannot commit to you or tell you
23 when that will come back out.

24 Q. But you think that sanctions may still be
25 imposed?

1 A. I don't know.

2 Q. Okay. I'm not trying to be antagonistic.

3 A. I understand.

4 Q. In one of the articles in the Philadelphia
5 Daily News you were quoted as saying that - or the
6 EPA I'll say - already admits that it may push
7 back the deadline as the law allows. But I don't
8 see any place in the law that allows that.

9 A. There have been discussions as to what
10 will happen if the guidelines aren't promulgated.
11 And one of the thoughts that has been discussed -
12 and this is not a commitment for EPA please - is
13 that there would be allowed a letter of intent to
14 be submitted by some of the states. And that that
15 letter of intent then would serve to meet the
16 letter of the law.

17 Q. I see.

18 A. The letter of intent being one to have the
19 state or Commonwealth of Pennsylvania in this
20 instance actually promulgate the program that will
21 address the I/M, enhance the I/M situation as well
22 as some of the other requirements within the Clean
23 Air Act.

24 CHAIRMAN McCALL: Representative
25 Markosek.

1 REPRESENTATIVE MARKOSEK: Thank you,
2 Mr. Chairman.

3 BY REPRESENTATIVE MARKOSEK:

4 Q. Gentlemen, just to refresh my memory here,
5 we're saying that this is a test that takes
6 between fifteen and twenty-two minutes?

7 A. That varies in terms of the source that
8 you read and the way it's set up it is actually
9 anywhere between five and twenty minutes.

10 Q. Okay. Five and twenty minutes. And it's
11 costing \$18 every two years, roughly \$9 a year?

12 A. Yes.

13 Q. Which is about the same as what we're
14 spending now.

15 Do you have any research data? Has any
16 thought been given to the typical repair of a
17 vehicle that's brought in here?

18 What is the typical malfunction should we
19 say? What age of cars? Do we have any
20 percentages for example that say cars within the
21 last five years have a certain percentage of
22 failure and cars more than five years have a
23 different percentage?

24 Any data on typical kinds of cars?
25 Repairs? Do most cars pass? Do most cars fail?

1 Any data on that at all?

2 ANSWER BY MR. MASLANY:

3 Q. A couple of points. Most cars do pass the
4 test. We're talking about roughly the thirty
5 percent or so that fail.

6 We find that cars that fail tend to fail
7 badly. And so those thirty percent of the cars
8 are causing the majority of the emissions on the
9 road. So it's finding that smaller percent of
10 cars, that thirty percent, that's important.

11
12 I have some figures somewhere - I'm
13 looking for it right now - that for what the
14 typical cost is. I'll try to find those.

15 The Clean Air Act does require the State
16 to change its waiver rate up to \$450 that an
17 individual car operator would have to pay to
18 repair his car. Above \$450 there is a provision
19 for a waiver. So it does increase the amount that
20 would have to be paid.

21 My recollection is that the average cost
22 is somewhere between, for those that had to be
23 repaired the average cost was somewhere between
24 \$50 and \$70. That's my recollection of the
25 figures.

1 Now you've got to remember that there are
2 going to be some cars that are going to cost \$200,
3 when we really are talking about major tune-ups
4 and a number of things like that. However, some
5 of the failures are caused by the evaporation
6 system not holding and so that's a very simple
7 thing.

8 So the average is in that range but there
9 is a recognition there could be a higher cost for
10 some cars.

11 We do estimate though that a lot of that
12 cost will be offset over the long run by the
13 savings in gas. Because not only are these tests
14 saving gas from evaporating, which provides gas to
15 the engine, but they are providing for more
16 efficient car performance.

17 Cars, our new automated cars, computer
18 diagnostic type cars that we have, are designed
19 that when things start going wrong in the car they
20 run rich so that the car keeps going. So that you
21 can get to wherever you need to go. So by proper
22 maintenance in the I/M testing you will have a
23 more efficient car.

24 Q. You mentioned the \$450 limit. You're
25 asking states to increase or hold harmless to

1 \$450. Is that the way I interpret what you're
2 saying?

3 ANSWER BY MR. ERICKSON:

4 Q. That's right in the Act, yes sir.

5 Q. Okay. If somebody has a repair that costs
6 more than that do they pay the deductible of \$450
7 and the difference, or do they pay nothing at
8 all?

9 ANSWER BY MR. MASLANY:

10 A. I believe they pay up to \$450.

11 Q. Okay. So it's like a deductible you might
12 say?

13 A. I believe that's correct. I will have to
14 confirm that definitely.

15 Q. The other question is, if that's not
16 correct and they pay nothing, who pays the bill?
17 Or who pays the difference even if they pay the
18 \$450?

19 A. I believe they have to pay up to \$450 for
20 repairs but I'm not quite sure of the exact
21 mechanism. I will get an answer back to the
22 Committee.

23 Q. Okay. Well who would pay the overage then?

24 A. I don't believe they have to fix beyond
25 that. But I will get back with that answer.

1 Q. So you're better off if your car is really
2 in bad shape and really way out of whack, and
3 costs \$800 or \$900, then you don't have to bother
4 getting it fixed?

5 A. No. What I'm saying is that I think
6 repairs up to \$450 have to be done. So that the
7 major repairs that need to be done would have to
8 be fixed.

9 REPRESENTATIVE MARKOSEK: Thank you,
10 Mr. Chairman.

11 BY CHAIRMAN McCALL:

12 Q. Does the Act speak at all to in the
13 inspection itself does it say or give us
14 discretion as far as if I do the inspection I
15 can't do the repair Would that be up to the State
16 too?

17 ANSWER BY MR. ERICKSON:

18 A. At this point in time it is not prescribed
19 by the Act, but the thinking after looking at a
20 number of programs that are in operation is the
21 separation of the two, repair from the inspection,
22 would be that which is most efficient and would
23 then therefore gain the biggest benefit to the air
24 emissions issue.

25 Q. Have you had any testing as far as the

1 states that allow both the inspection and the
2 repair, or even in a decentralized system where
3 the inspection has been conducted has there been
4 any cheating?

5 A. I don't think that you can indicate in a
6 decentralized system versus a centralized system
7 there is more or less cheating.

8 As I think you know, Mr. Chairman, there
9 are audits that are performed periodically. And
10 of course the results of those audits vary from
11 one state to the next state. They vary from one
12 facility to the next obviously.

13 Q. Do you have those audit results?

14 ANSWER BY MR. MASLANY:

15 A. There has been a national study that was
16 done recently which we can send a copy to you,
17 that compares audits done in about six different
18 states that looked at it.

19 In some cases in some states around the
20 country we have found very high failure rates
21 where the agency goes in with marked cars and some
22 covert where we send an unmarked car in, and the
23 car has been pre-tampered with so that we know
24 what's wrong with it. We know how it should
25 receive a report.

1 In some cases we have found very poor
2 results. Those have been improved since. But we
3 have found in general with decentralized it does
4 relate to systems. Pennsylvania has a fairly good
5 decentralized system right now.

6 There have been some decentralized systems
7 that have not been achieving high results on a
8 compliance rate.

9 Q. Have you done audits in Pennsylvania?

10 A. Yes we have.

11 Q. And that is all part of the study?

12 A. Yes.

13 Q. I'd like to have copies of that.

14 A. We will submit it to you.

15 CHAIRMAN McCALL: Thank you.

16 We're going to deviate somewhat
17 from the hearing. Secretary Yerusolim has to
18 testify before Appropriations or some Budget
19 Hearings, so, Howard, you're next.

20 SECRETARY YERUSALIM: Mr. Chairman and
21 Members of the Committee on Enhanced Emission
22 Inspection and Air Quality. Thank you very much
23 for changing your schedule for me. I appreciate
24 it.

25 You have my testimony but I don't read

1 very well so I make it a practice of not reading
2 testimony.

3 I will refer to figures that are in
4 the testimony but we have boards that were made up
5 in the last hour or so, so we will be pointing to
6 boards rather than you having to go through the
7 testimony that I gave you.

8 First of all enhancing and expanding
9 the emission inspection program in Pennsylvania
10 will affect a minimum of 6.2 million vehicle
11 owners in thirty-three counties of the
12 Commonwealth. It will also play a major role in
13 cleaning our air in the future.

14 Mr. Erickson probably told you that
15 the Clean Air Act Amendment signed by President
16 Bush on November 15, 1990, requires significant
17 changes to our emission inspection program.

18 Currently we have a decentralized
19 program in parts of eleven counties and that's
20 the, I believe it's yellow to me.

21 Under the Clean Air Act Amendments of
22 1990 that will have to be expanded to thirty-three
23 counties and the entire county in each of those
24 thirty-three, because we are a member of the
25 Northeast Ozone Transport Commission and Region.

1 You can see the extra counties so I
2 won't read them off to you. But you can see it
3 affects a major portion of the State other than
4 the Northern Tier portion of the State.

5 Actually, additionally the Clean Air
6 Act Amendment also requires increasing the waiver
7 fee if you fail a test. Currently a 1974 or older
8 car you only have to repair up to \$25 even if you
9 don't clean up the car. And I've never figured
10 out how you do that on an eight cylinder
11 automobile. Maybe you only change two spark plugs
12 in order to keep it under the waiver limit. But
13 under this program it will increase from the \$25
14 or \$50 up to as much as \$450.

15
16 Now no one should be confused to think
17 that everyone who doesn't pass the test will have
18 to spend \$450 to meet the requirements. We don't
19 expect that will be true. And also, most of the
20 vehicles we expect will pass the test.

21 Both types of changing talked about is
22 the expansion and the enhancement of the emission
23 inspection will require legislation, regulation and
24 operating changes for PennDOT. So this will not
25 happen in a day.

1 However, amendments require EPA to
2 issue regulations or guidelines by November 15th
3 of the year of the test, 1991. These regulations
4 were not completed as of today and who knows when
5 they will be completed, which causes us extreme
6 hardship at the State level.

7 Governor Casey just last week sent a
8 letter to EPA Administrator William K. Riley
9 indicating his strong concern with the fact that
10 EPA is not meeting their requirements of law. But
11 there is no movement of the deadline with respect
12 to our meeting the requirements of the Clean Air
13 Act Amendment. So that does make it much more
14 difficult for us.

15 I do want to mention that EPA
16 Administrator Erickson has been very very
17 cooperative with us. He came to Harrisburg to
18 meet with me and my staff to talk about enhanced
19 I/M and talk about the benefits, and talk about
20 the centralized versus decentralized, and he is
21 very very cooperative. Our problem is that overall
22 the administration of EPA is not coming out with
23 the regulations or the guidelines that we need.

24 I would hate to start up a major
25 program and then find out it doesn't meet the

1 requirements, and time is moving.

2 We don't want to implement a program
3 that won't meet those Federal regulations or
4 guidelines when they're completed, therefore, you
5 know, I'll discuss things like must the program be
6 centralized or decentralized. But I need to know
7 what the rules are before I can play the game.

8 I want to know if the test site can
9 do repairs. When Mr. Erickson met with me and
10 some of my staff in my office he indicated that he
11 did not think that the test sites could also do
12 the repairs.

13 Now I read some information that said
14 maybe you'll get less credits if the test site
15 also does the repairs, but they can do both. And
16 that makes a major difference in the development
17 of our program.

18 We also want to know if we'll get the
19 same credits for a bi-annual emission inspection
20 versus an annual inspection. And will we get the
21 same credits for a centralized versus
22 decentralized. They're all very important factors
23 I believe in making decisions in Pennsylvania to
24 meet the Clean Air Act requirements.

25 Let me provide some information

1 regarding the issues in question you raised in
2 your letter. A lot of them I really can't answer
3 without having the answers from the Environmental
4 Protection Agency.

5 First of all since enhanced equipment
6 will cost upwards of \$140,000/\$150,000, I believe
7 that this morning - I wasn't able to be here - but
8 Mr. Erickson said it my cost up to \$200,000 per
9 lane. I question whether many individual service
10 stations and garages can afford this equipment.

11 Second, the information we received
12 from EPA prior to today indicates the expenses to
13 operate a centralized high technology testing
14 facility works out to approximately \$20 per
15 vehicle. In other words the pay back to pay off
16 that equipment.

17 Mr. Erickson might have given slightly
18 different figures today as I recall right before I
19 came to sit down.

20 We are also told by EPA that
21 California which has a decentralized system
22 indicates the average cost is \$48 per vehicle. So
23 I think that has to be part of the formula.

24 With respect to centralized versus
25 decentralized programs, we still have the question,

1 at \$140,000, at \$150,000 or \$200,000, will there
2 be enough individual service stations willing to
3 purchase that equipment and be able to get their
4 return on investment that we can inspect the 6.2
5 million vehicles that will be required to be
6 inspected under the expanded program. That's up
7 from 3.4 million vehicles under the current
8 program.

9 If EPA requires separation of repair
10 and testing facilities would private garages
11 participate? Those garages might be more
12 interested in being in the business of repairing
13 automobiles and light trucks, which is their
14 business, rather than testing them for emissions
15 inspection.

16 Will the customers be more confident
17 if there is a centralized system that they know
18 has no responsibility or ability to make the
19 repairs?

20 Will they have more confidence in
21 going through a line where they know that the only
22 interest of that group that would be centralized
23 and controlled by the State would be to inspect
24 their vehicle.

25 Also, will EPA's credits for a

1 centralized system allow for bi-annual versus
2 annual test.

3 If we go to Figure 2 here this tells
4 us some information regarding centralized versus
5 decentralized. And it's kind of interesting that
6 the effectiveness of the centralized program in
7 some cases is double the effectiveness of a
8 decentralized program. For example if you look at
9 the lead line the effect of this might be seventy-
10 five percent with a centralized system versus
11 thirty-eight percent with a decentralized system.
12 And the source of this information is the EPA. We
13 didn't make this up ourselves.

14 You can look at each of the lines and
15 see a much greater impact and the much greater
16 credits I believe will be received with a
17 centralized system versus a decentralized system.
18 And all these charts are in your packages with my
19 testimony.

20 The Department has begun preparation
21 for a number of program types, but we need EPA's
22 guidance before we commit to any one system.

23 If we do centralize we may have
24 options to offset the impact on currently
25 operating systems. In other words perhaps we

1 should consider allowing testing of older vehicles
2 at the existing sites for some phase-in period.

3 Initially the centralized program
4 perhaps could be in the counties that don't have a
5 program today and will be phased into centralizing
6 the entire state.

7 We would have to assure I believe with
8 the good job that our service stations have done
9 over the years, that we separate the safety
10 inspections and continue to do them at the service
11 stations as they receive their licenses to do such
12 and their certification.

13 And also if we tie a centralized
14 system into a bi-annual update of a vehicle
15 registration, you know, that might just set it up
16 that it's separate from the safety inspection. Of
17 course right now we have an annual registration
18 fee for our vehicles.

19 Regardless of centralized or
20 decentralized programs, the I/M program enhanced
21 will be the key to cleaning up our air for health
22 reasons. And second, to meet the Clean Air Act
23 Amendment 1990 requirements.

24 Let me turn to some other figures that
25 I think show more information for you. Again,

1 they are in the testimony, but it shows a little
2 bit better here.

3 This is a chart that shows the
4 inspection program's major benefits. And we start
5 out with the fact that the average emission rate
6 is 2 grams per mile of volatile organic compounds,
7 VOC's.

8 The tailpipe, Tier I Tailpipe
9 Standards, you will only reduce that by two
10 percent.

11 As you go over to the right we see
12 that the full test with pressure and purge will
13 reduce the emission rate by thirty percent. So it
14 shows you that the full enhanced program will go a
15 long way towards meeting the requirements of the
16 Clean Air Act.

17 If we go to the next chart. There's
18 four charts that kind of show the same thing.
19 Again we look at the Decentralized Annual Two
20 Speed All Model Years With No Pressure, might
21 reduce 3000 tons per year per million vehicles of
22 VOC's.

23 As you go to the right you'll see that
24 that increases to about 10,000 with a centralized
25 annual testing program that is enhanced to include

1 the pressure test and the purge test.

2 The other thing that we've been told
3 by the Environmental Protection Agency - and again
4 I want to stress Pat Erickson has been very very
5 cooperative - is that if we went to a bi-annual
6 test we might get almost the credits as an annual
7 test. And that might be something that we really
8 want to consider as we get the real guidelines or
9 regulations from the Environmental Protection
10 Agency.

11 The next chart kind of ties dollars
12 instead of costs in order to reduce the per ton of
13 VOC's. Additional measure beyond RACT, that means
14 that measures on the vehicle itself would cost
15 about \$5000 per ton of reduction of the VOC's.

16 If you go to bi-annual high option you
17 see that it's only \$500. So it's a ten to one
18 return on going to an enhanced program.

19 This chart shows the different
20 facilities that we can try and address by reducing
21 their VOC impact.

22 Bakeries you can see have almost no
23 impact. Rubber tire manufactures, none. And by
24 the way, this is for the City of Houston. I don't
25 know that it would be exactly for Pennsylvania but

1 it kind of shows the difference between emission
2 inspection programs and other things that can be
3 done.

4 Drycleaning is not very much. If you
5 go down the list you'll see that we don't get much
6 of an impact until we go even to a low option
7 emission inspection test with respect to reduction
8 of tons per day. But you can see the high option,
9 which I talked about, outdistances everything but
10 the refineries, and there are an awful lot of
11 refineries in the City of Houston. So I don't
12 think that we would even have that line in the
13 Commonwealth of Pennsylvania.

14 So again we can see that the enhanced
15 expanded centralized program would get us the best
16 return and clean up our air in the best possible
17 way and the most efficient manner.

18 Also I want to mention that if you
19 fail the test, and the current program only twenty
20 percent of the vehicles actually fail the test,
21 the waiver in the Federal law calls for the
22 increase from \$25 to \$450 that I mentioned before.

23 But I also want to mention two things.
24 One, those vehicles will not require that amount
25 of repair.

1
2 The other thing is that most vehicles
3 will be under warranty and the repairs if they are
4 five years old or less, or 50,000 miles or less,
5 will have to be taken care of by the manufacturer.
6 Anyway, that's my understanding, that these will
7 have to be warranted, the parts that may need
8 repaired.

9 In closing let me say that we will
10 enhance our program because it's the right thing
11 to do to clean up our air.

12 Also, if we don't meet the Clean Air
13 Act Amendments it will have a major impact on jobs
14 in Pennsylvania. It will mean that we will face
15 sanctions of up to the loss of approximately \$900
16 million per year in highway bridge funding. And
17 we will also face the sanction that we will not be
18 able to have new companies that emit pollutants
19 come in unless we have a two for one. We reduce
20 by two for every one gram or ton of pollutants
21 that we put into the air.

22 So I think it is very very important
23 that we get these regulations as soon as possible.
24 They were due, as I said, October 15, 1991, one
25 year after the Act. And we were supposed to have

1 a program by October 15, 1992. That's when the
2 clock starts.

3 We have an eighteen month clock after
4 that before sanctions get imposed. But that means
5 by May of 1994 we have to have a program or we
6 will have sanctions imposed.

7 And as I sit here before you today, I
8 don't know what the program means. Does it mean
9 that we have the law, the regulations and the
10 centralized and decentralized programs actually in
11 operation? Or does it mean we have the law, the
12 regulations and the request for proposal that's
13 sent out in order to develop the program? And we
14 need these answers before we invest many many
15 millions of dollars within Pennsylvania for this
16 program.

17 In any event those sanctions have to
18 take effect twenty-four months after October 15,
19 1992. October 15, 1994, those sanctions will be
20 imposed if we don't meet the requirements of the
21 Clean Air Act.

22 So I would just say that we are
23 working on this problem. John Pachuta to my right
24 has been involved. He's the one who appeared
25 before Judge Bechtel countless times when

1 we were sanctioned in 1983/1984 period. Luckily
2 then we were only sanctioned in one portion of the
3 State. It only lasted for nine months and then we
4 were able to use the Federal funds in another
5 portion of the State. So we didn't lose Federal
6 funds, but with the impact on our economy and the
7 impact on jobs we can't consider losing \$900
8 million in Federal Highway and Bridge Funds
9 because we don't have a program.

10 On the other hand I don't think it's
11 wise of us to develop a program if we can't get
12 the requirements for the program from the agency
13 that's supposed to give it to us, the
14 Environmental Protection Agency.

15 I think PennDOT will do its job and I
16 think State Government will do its job. and I
17 think the fact that you have a hearing on this
18 matter shows that you're interested in our doing
19 this job. But it's time now for the Environmental
20 Protection Agency and the Bush Administration to
21 do their job.

22 Thank you and I'll be open to any
23 questions.

24 CHAIRMAN McCALL: Representative
25 Daley.

1 BY REPRESENTATIVE DALEY:

2 Q. Mr. Secretary, you and I have had this
3 conversation before and maybe it's in order, maybe
4 not. I really feel that it's about time we did
5 this for all of Pennsylvania simply because of the
6 fact there are twelve counties in Pennsylvania
7 that now have to undergo this emissions testing
8 program, one of which is the county I represent.

9 The thing that bothers me greatly is the
10 position throughout Pennsylvania by many people
11 that the other parts of Pennsylvania basically
12 don't pollute. And in essence that has offended
13 many of us that have to represent constituencies
14 that have to get their cars tested. Number one.

15 Number two is, to add insult to injury, a
16 Federal Judge, Judge Bechtie, held Pennsylvania
17 hostage for many months, as you know, to the tune
18 of about \$540 million of Federal Highway money.
19 That was a hammer they used then for us to
20 implement this program.

21 But the travesty I think was the zip code
22 and many communities were zipped out. If you live
23 on one side of the street and you lived in a
24 municipality say like Malvern in Fayette County,
25 you were zipped out. But on the other side of the

1 road if you had a certain zip code you were zipped
2 in.

3 And to add insult to injury many
4 politicians that served in this Legislature, both
5 in the House and Senate, their hometowns were
6 zipped out. The former Majority Leader Jim
7 Manderino, his hometown, Monessen, was zipped out.
8 State Senator Barry Stout from Washington County,
9 Bentleyville was zipped out. And ironically my
10 hometown in California, Pennsylvania, was zipped
11 out. My mailing address was R. D. 1, Coal Center,
12 so in essence even though I lived in the rural
13 part of my hometown I was zipped in.

14 So I find it sort of a tragedy and a
15 travesty that we have had for the last several
16 years to inflict upon certain areas of
17 Pennsylvania a mandate that wasn't really on all
18 of Pennsylvania. So I think maybe we're moving in
19 the right direction.

20 My philosophy, and I have legislation I've
21 introduced, is either abolish the program for
22 everyone or make it for everyone. I mean that's
23 only fair. That's the way government best works
24 where it services everyone and government is
25 equally proportioned among all the people.

1 The centralized program, and I'm sure
2 you've taken this into consideration, the DER and
3 the EPA is now setting certain mandates for local
4 ma and pa gasoline stations, filling stations,
5 service stations, to come into compliance in terms
6 of the types of fuel tanks they have.

7 Many of those people are now facing the
8 option of going out of business because they
9 simply cannot come into compliance with DER
10 regulations.

11 So you've seen a gradual erosion
12 throughout our communities of losing the hometown
13 service station that did all the service on your
14 vehicle.

15 Those people are the people who are going
16 to have to buy this equipment. And quite frankly
17 I'll submit to you, Mr. Secretary, that those
18 people aren't going to be there in the next ten
19 years, because they're just simply being driven
20 out of business by the big conglomerate oil
21 companies that have the stations throughout
22 Pennsylvania.

23 I would suggest if a centralized system is
24 developed and set forth in Pennsylvania that we
25 seriously think about an option in which the

1 Commonwealth of Pennsylvania will reimburse those
2 people, those ma and pa service stations that have
3 spent \$5000 and \$10,000 for I/M equipment that was
4 purchased and we go back and reimburse them.

5 Also, it really offends me, and I know it
6 offends you too, that the Federal Government has a
7 tendency to hold the hammer over our head. And one
8 time it was \$540 million. Now it's \$900 million
9 in highway and bridge projects.

10 I think it's time that they come up with a
11 bonafide program via regulation or through
12 statutory requirements. And, Mr. Secretary, I
13 support a program that is punitive to all
14 Pennsylvania as it is punitive to twelve counties
15 in Pennsylvania.

16 Q. Well in response I'm not sure I can
17 remember all your questions. I hope you were
18 zipped in today.

19 CHAIRMAN McCALL: I don't think it was
20 a question, Howard.

21 Q. What did you say about zipped?

22 A. I said I hope you were zipped in today. I
23 remembered that part of the question.

24 Q. I'm zipped in.

25 A. Very good. First of all, there will not

1 be partial counties under this program because we
2 are part of the Northeast Ozone Transport
3 Commission. So it has to be total counties.

4 It has to be those thirty-three counties
5 and the question is should we do it in the other
6 thirty-four counties.

7 Well in the thirty-three counties that the
8 testing will be required, eighty percent of the
9 vehicles are registered. So that is a strong case
10 for only doing it in the thirty-three counties.
11 Because I think again you're going to get the most
12 impact for the dollars that you put into the
13 programs as far as cleaning up the environment
14 which is really our intent.

15 It is not the intent of the Federal
16 Government either to place sanctions. It's their
17 intent to have us clean up the air. And the stick
18 that they have is that the Federal law does say
19 that there will be sanctions.

20 I don't know that I can go much further
21 than that, except the people in McKean County and
22 Potter County, up along that northern tier, it
23 would not be very cost effective if we have a
24 centralized program to have the testing up there
25 since there are so few vehicles, and maybe it

1 would only be open once a week if you do that.

2 With respect to the reimbursement of the
3 existing stations, the mom and pop stations as you
4 call them, Representative Daley, we don't have any
5 plans to do that but that was part of why we said
6 maybe we could phase it in so that they could get
7 the return on their investment over some period of
8 time. But again, we need to know that that will
9 be accepted.

10 But the one thing I do know is that every
11 method that I've heard about for cleaning up the
12 air, I have heard that the enhanced centralized
13 I/M program does the best job in providing cleaner
14 air of the other options that I've heard about.

15 I don't know if that's what the gentleman
16 and lady before me said this morning, but that's
17 what I know from my knowledge.

18 And those sanctions by the way at this
19 time are not-- The EPA doesn't have any
20 discretion in those sanctions. Those sanctions
21 are mandatory.

22 The only thing we don't know is whether
23 after eighteen months they'll impose Sanction A or
24 Sanction B, either Federal highway money or the
25 two for one provision. But after twenty-four

1 months they must impose both sanctions.

2 So clean air is an environmental issue
3 certainly. It's a job issue certainly. And it's a
4 transportation issue.

5 I know that Representative you're very
6 aware of the fact that I made commitments to a
7 billion dollar highway reconstruction lettings
8 starting fiscal year 1992/93. And we're going to
9 do that and even exceed at that.

10 We made out very very well in the Surface
11 Transportation Reauthorization. In fact most
12 states are jealous of me and they say it
13 kiddingly. I don't know if they mean it kiddingly
14 when I meet on a national forum, but we want to
15 use those moneys for the purposes for which
16 they're intended.

17 I think trying to expand it to the rest of
18 the State, I don't know if that is politically
19 feasible or not.

20 One member of our distinguished
21 Legislature indicated to me that the way that this
22 got passed the last time since it was only
23 portions of eleven counties, is all the
24 legislators who weren't impacted by the I/M
25 program were the ones who provided the votes.

1 Q. That's absolutely true.

2 A. That will not be possible this time
3 because there will not be anywhere near the amount
4 of votes from the other thirty-four counties in
5 order to pass this legislation.

6 Q. I should say that we in the twelve
7 counties that debated this vigorously on the
8 floor, it felt sort of like Custer at the Battle
9 of the Big Horn. We realized that we didn't have
10 the troops to sustain our battle.

11 But I submit to you, Mr. Secretary, that
12 it should be fair for everyone in Pennsylvania if
13 we're going to apply this. I know there's
14 political realities that have to be considered.
15 Forty-five counties out of all the counties of
16 Pennsylvania simply I don't think is fair. Number
17 one.

18 Number two is, I find your logic that it
19 may not be cost effective for someone in McKean
20 County to travel to a centralized location, it's
21 also applying that logic it would be saying like
22 since they live so far out in McKean County we
23 shouldn't send them an income tax form because the
24 post office is too far away.

25 They still live in Pennsylvania and they

1 still abide by the laws of Pennsylvania. And
2 what's fair for one that operates a vehicle in
3 Pennsylvania should be fair for everyone.

4 A. Just to respond. This is a Federal
5 requirement. If we go further than the Federal
6 requirement that's because the State wants to do
7 that and, you know, I will serve at the will of
8 the members of the Legislature.

9 Q. You can rest assured that I'll have an
10 amendment to include all of Pennsylvania.

11 A. No comment. Thank you very much,
12 Representative. Is that before you get your law
13 degree or after?

14 Q. It depends on when you introduce the
15 legislation.

16 BY CHAIRMAN McCALL:

17 Q. Tell me, Mr. Secretary, the thirty-three
18 counties or the additional twenty-two counties that
19 are now represented, represent what percentage?

20 A. Eighty percent of the registered vehicles.

21 MR. PIRRITANO:

22 A. Of the vehicles that will be tested, the
23 passenger cars and light trucks, a little over
24 eighty percent. About eighty-three percent or so
25 are in those thirty-three counties currently.

1 Q. Do you have any type of game plan at this
2 point or are you still waiting for the EPA to come
3 up with their regulations?

4 How long would it take you to implement,
5 or how long would it take you to get on line with
6 either going with a centralized or decentralized
7 system?

8 SECRETARY YERUSALIM:

9 A. My problem-- By the way, let me introduce
10 Mario Pirritano who is my Deputy Secretary for
11 Safety Administration, who is here with us.

12 My problem is that they're writing
13 eighteen months. We're not sure we can do it in
14 eighteen months because we need a law, we need the
15 regulations, which sometimes themselves take
16 eighteen months to two years. We don't know when
17 the legislation was passed.

18 Also, we need to know the answer. Do we
19 just need a request for a proposal to implement,
20 or do we actually have to have the inspection on
21 line by these deadlines?

22 We've been lead to believe that it's
23 somewhere between the two. You know, if we've
24 shown we have the law, we have the regulations and
25 we're in the process I think we'll be okay. But I

1 don't know that for sure.

2 Again, we need the Federal regulations.
3 It's just not proper for them to pass a law and
4 then not give us the guidance as to what the law
5 means.

6 Q. The way I read it there are deadlines
7 imposed and those deadlines are in black and
8 white, and that EPA has no discretion to go around
9 those deadlines.

10 A. And even if EPA did, Representative Daley
11 and probably the rest of you remember it wasn't
12 EPA that caused the sanctions the last time; it
13 was the Delaware County Clean Air Council who sued
14 us in Federal Court that caused those.

15 So even if EPA felt that, gee, we didn't
16 give you the regulations in time therefore you
17 can't have the program implemented, they would
18 probably have no say because they are mandatory
19 and some outside group would probably sue and
20 would probably prevail.

21 Q. Is it possible for the Department of
22 Transportation to administratively adopt California
23 emission regulations without legislative approval
24 or legislative oversight?

25 A. Mr. Pachuta is telling me that we were

1 advised by counsel that we could do that.

2 Q. That you could do that?

3 A. Yes we could.

4 John, can you give the reason for that.

5 MR. PACHUTA:

6 A. It's my understanding that Legal Counsel
7 reviewed the current statutes for standards for
8 vehicles and felt that in the Vehicle Code we were
9 permitted to adopt those standards as we saw fit.

10 Under the Federal law since you have the
11 option of taking either the Federal standard or
12 the California, but no other, that the California
13 would be acceptable.

14 Q. Are you doing anything in that regard at
15 this point? Because I'm sure the Legislature is
16 definitely going to want to have some type of
17 input on that issue.

18 SECRETARY YERUSALIM:

19 A. We have not started anything yet. That
20 would probably be the Department of Environmental
21 Resources.

22 MR. PACHUTA:

23 A. We're working with them. The
24 Transportation Committees obviously would still
25 have oversight over any regulatory change that we

1 would undertake. So even if we did do it this
2 Body would get a chance to take a look at that
3 before it was enacted or adopted.

4 CHAIRMAN McCALL: Representative
5 Markosek.

6 REPRESENTATIVE MARKOSEK: Thank you,
7 Mr. Chairman.

8 BY REPRESENTATIVE MARKOSEK:

9 Q. Mr. Secretary, you made a very good
10 presentation and it sounds like we have a little
11 bit of a problem here in not really having enough
12 direction from the Federal Government at this
13 time. And I understand that the Department of
14 Transportation will do their very best to stay
15 within the confines of the regulations that we
16 have from the Federal Government.

17 The question I have, of these thirty-three
18 counties that will be affected, what percentage of
19 PennDOT road money, Federal road money would be
20 directed towards those?

21 Would it be a pretty high percentage?
22 Eighty percent of the cars are in that area.
23 Would you say eighty percent of the highway
24 maintenance money is also in those areas?

25 A. I don't want to give an exact number

1 because we constantly work with members of the
2 Legislature and our State Transportation
3 Commission. But if we looked at our program you
4 see because this is all the urbanized areas of the
5 state, you would see that a significant amount of
6 the Federal dollars would be spent in those
7 counties.

8 And to the best of my knowledge I don't
9 know that we would only be restricted to Federal
10 dollars in those counties. We might be restricted
11 in the whole State. We might have sanctions.

12 John, do you know the answer to that?

13 MR. PACHUTA: I don't think its been
14 decided yet.

15 SECRETARY YERUSALIM: John says he
16 doesn't know if its been decided yet. So we run
17 the risk of not being able to use the money.

18 Also, last time what we couldn't use
19 in Southeastern Pennsylvania we used in other
20 parts of the State and then we made it up to
21 Southeastern Pennsylvania afterwards.

22 REPRESENTATIVE MARKOSEK: I remember
23 in 1983 when we passed the current law, we had a
24 debate about including the entire State. It was
25 an amendment to the current bill, or the current

1 law, which failed.

2 I was like Representative Daley
3 supportive of that. Probably would support that
4 again. However, having seen that amendment fail I
5 was - and I'll correct my esteemed colleague - I
6 was one of perhaps a few legislators whose
7 District was within the testing period, or the
8 testing area, that did vote for the current
9 program.

10 And the reason why I voted for it was
11 because I knew we had a lot of road dollars out
12 there that were far more important than, you know,
13 I think it was the most important thing at the
14 time in my opinion in my District, where we needed
15 a lot of work and I'm sure a lot of members here
16 need that same road work today.

17 While I don't think anybody here is
18 prepared to say we're going to vote for this or
19 not vote for it at this particular time, it looks
20 obvious to me that once we get a plan that is as
21 fair as we can get it, and it's probably never
22 going to be a hundred percent fair, but as far as
23 we can get it, it's not going to pass if just
24 legislators from the areas that are not affected
25 are going to be the ones that vote for it.

1 Assuming that we are unable to get the entire
2 State involved.

3 So I think just as a comment that if
4 we as legislators - and maybe this is a little
5 message to my colleagues - want to see this road
6 money come in, and I certainly do, we cannot
7 afford to lose this \$900 million. It's as simple
8 as that.

9 We have no choice on this program. I
10 would urge that we get the fairest program that we
11 can and then hopefully enact it in as quick a
12 manner as we can so that we do ensure that the
13 road dollars that come into your Department
14 eventually gets down to benefitting our
15 constituents in our Districts.

16 Thank you.

17 SECRETARY YERUSALIM: By the way, let
18 me just add, the \$900 million, we're going to
19 average \$934 million a year onto the Federal
20 Reauthorization. So that's only one year. If we
21 go over one year it could be doubled, tripled.
22 It's something that's just the economy of the
23 Commonwealth of Pennsylvania can definitely not
24 afford not to meet the requirements of the Clean
25 Air Act first for the reason that it was passed,

1 for health reasons. And secondly, for the economy
2 of the Commonwealth of Pennsylvania.

3 REPRESENTATIVE MARKOSEK: We cannot
4 afford to lose that money.

5 CHAIRMAN McCALL: Thank you, Mr.
6 Secretary.

7 SECRETARY YERUSALIM: Thank you very
8 much for changing your schedule.

9 CHAIRMAN McCALL: Bruce Diehl. Bruce
10 is with the Vehicle Emissions Inspection Program
11 in Maryland. And I had the pleasure of meeting
12 with Bruce I guess about a month ago.

13 Bruce.

14 MR. DIEHL: Mr. Chairman and members
15 of the Subcommittee on Transportation Safety.

16 I am Bruce Diehl, the Motor Vehicle
17 Administration, the State of Maryland. I am the
18 Director of the Vehicle Emissions Inspection
19 Program for the State.

20 We have a centralized contractor
21 operated program which we're into our ninth year
22 of it right now.

23 Prior to this position I spent about
24 twenty-seven years with the State Police and
25 developed and administered safety inspection

1 programs. So I've had experience in both the
2 centralized and decentralized operations.

3 Our initial law was enacted in 1977
4 and within that Statute we were very limited to
5 the selection we could make. It's either a state
6 owned and operated or a contract operated
7 centralized program.

8 The options that we looked at in that
9 was the actual capital costs and everything and we
10 opted for the centralized contractor program.

11 This means that we had no capital
12 outlay to implement the program. All of the land
13 acquisition, the construction, the equipment and
14 the operating personnel of the station were
15 employees and were borne by the contractor. The
16 only costs to the State were the actual
17 administration of the program.

18 That program because of uncertainties
19 of the Clean Air Act had a five year life to it.
20 We had a sunset clause where the program was due
21 to expire December 31, 1988.

22 That program was centralized and
23 involved about 1.7 million vehicles tested on an
24 annual basis.

25 In networking the system of the

1 vendors who had submitted bids for the proposal,
2 which we put out, we looked at convenience to the
3 motorists. One of these was that our requirements
4 were that the stations would be located where
5 eighty-five percent of the vehicles would be
6 served in that area were within the twelve mile
7 straight line distance. Which meant a fifteen to
8 twenty minute drive for eighty-five percent of the
9 people.

10 The remaining portion of the
11 population to be served was within a twenty mile
12 straight line distance.

13 With that setup, and we used the
14 county boundaries, that program and what we're
15 doing right today involves seven counties plus
16 Baltimore City which is the Baltimore and
17 Washington Air Quality Regions. This area is
18 about seventy percent of our vehicle population.

19 That system was set up and what we
20 ended up when we implemented the program on
21 February 1, 1984, we had a network of ten stations
22 and forty-eight lanes.

23 The stations were operational forty-
24 eight hours per week. Tuesday through Friday from
25 9:00 a.m. to 7:00 p.m., and Saturday from 8:00

1 a.m. till 5:00 p.m. And the stations were closed
2 Sunday and Monday.

3 That program continued through
4 December 31, 1988, and then during the 1988
5 Session of the General Assembly the program was
6 reauthorized for an additional three years, through
7 December 31, 1991.

8 There were some rather significant
9 changes made at that time. One, we went from an
10 annual test to a bi-annual test. We then included
11 vehicles up to and including 26,000 pounds gross
12 vehicle weight.

13 The initial program was tailpipe test
14 only. Beginning in 1989 we added a two parameter
15 emission equipment tampering inspection. The
16 inspection for the presence of the catalyst. The
17 inspection for the presence and the condition of
18 the fuel flow inlet restrictor.

19 Because we only had about five months
20 time from the time the legislation took effect
21 until implementation date, we did not have
22 sufficient time for an RFP, and with that we
23 issued an invitation for bids. This is a basic
24 emergency two step procedure where we received a
25 sealed technical proposal and sealed price

1 proposal. If they met the technical end of it
2 then we would open the price proposal.

3 Our first program we had two bidders
4 and the second program we had two bidders. The
5 first program both were deemed responsive. The
6 second program, one of the offers did not meet the
7 technical proposal so, therefore, his price
8 proposal was returned to him unopened.

9 That left us with the current
10 contractor which we had for the first five years
11 and we now have. And through contract negotiations
12 with them we entered into a contract which would
13 carry through the year of 1991.

14 As we're all familiar the Clean Air
15 Act Amendments of 1990 were in the offing during
16 this time, so that program we made no significant
17 changes. But due to Sunset on December 31st of
18 '91, our '91 session of the General Assembly
19 reauthorized the program through the year 2001.

20 They put a little bit of restrictions
21 on us that the procurement process went into
22 effect July 1, 1991. Other procedures go into
23 effect December 31, 1992.

24 So we are in the process now of
25 developing an RFP under an enhanced I/M program to

1 meet the mandates of the Clean Air Act.

2 What we are looking at now is based on
3 the best information that we have within the past
4 few days from EPA of developing this program.

5 My verbal testimony at this point will
6 be in generalities because we do have two
7 potential vendors in the audience. We do not want
8 to give anybody an unfair advantage. Our RFP
9 should be on the street probably in the next
10 thirty or forty-five days.

11 But we are also looking at this time,
12 and it is included in my written testimony, again,
13 we're looking at customer convenience. We're
14 looking at the cost to the customer. We're
15 looking at what do we have to do to meet the
16 mandates of the Clean Air Act.

17 Some of these things we're looking at
18 is the high tech test area, the 240 test of what
19 vehicles is it going to apply to. Our initial
20 blush is '81 through current model years.

21 We have not decided on what type of
22 test for the pre-1981. We also have some
23 questions that are raised on the heavy duty
24 vehicles we test, what type of test on that.

25 We will probably be requiring the

1 pressure test on the evaporative system '77
2 through current model years and the purge test on
3 probably '81 and newer.

4 Based on the best information that we
5 have available is that the test fee itself to the
6 public would probably be in the neighborhood of
7 somewhere \$15 to \$20.

8 What we would have to look at, our
9 program is user funded. That the test fee
10 throughout the history of our program has been
11 paid by the vehicle owner and that includes, for
12 example, from '84 right through today.

13 Our test fee has been '84 through '88,
14 \$9 per year to the customer. Out of that the
15 contractor retains his portion and the State
16 portion for administration of the program was
17 remitted to us on a monthly basis.

18 That in itself averaged over that
19 first program fifty cents per vehicle up through
20 \$1.50 per vehicle.

21 What we have for '89 through '91 is
22 the test fee on a bi-annual basis will be \$8.50,
23 which is \$4.25 a year. Of that the contractor
24 retains \$6.30, we receive \$2.20, which covered our
25 administrative costs.

1 But after putting out the fires then
2 we were able to address the issues of what were
3 the problems and we resolved those.

4 We have a program right now that EPA
5 looks on as a model of the other states. We have
6 come out very well on all of their audits. Their
7 most recent audit which involved six states
8 involved one of ours.

9 We have had to look at public
10 appearance rates because we schedule the vehicles
11 for testing. We get the notice to them thirty
12 days before the month they're tested.

13 We found over the past eight years
14 that roughly twenty-six percent of these people
15 will wait till the last five work days of the
16 scheduled month.

17 Needless to say with an annual program
18 if we were talking about 170,000 a month that was
19 a significant number. And we have backups. We
20 developed plans of rerouting the vehicles in that.

21 But when we went to the bi-annual
22 program we also extended the hours of the station.
23 We are open fifty-four hours a week now. We have
24 Monday eight till six. Monday through Friday
25 eight to six. And eight to five on Saturday.

1 These were based on appearance rates of the people
2 before.

3 We have queuing areas full at eight
4 o'clock in the morning and nobody there after six
5 in the evening. After probably twelve o'clock on
6 Saturday there was nobody there. So we changed
7 the hours to what five years experience told us
8 and the people changed their hours.

9 But what we have found is we've
10 eliminated the traffic backup problems. We have
11 heavy days still at the end of the month. But
12 with very few exceptions the vehicle traffic does
13 not leave the station property.

14 We also have the procedure set up that
15 any vehicle that's on station property at closing
16 time, that vehicle will be tested. So there could
17 be as much as an hour longer of hours if the
18 queuing log is completely full.

19 But these are the things we've learned
20 over the years. Things that we will be applying
21 to the new program.

22 We have some specific issues that we
23 have looked at of the testing equipment for the
24 heavy vehicles or for the full time vehicles. And
25 generally issues are the same as we've had before,

1 the convenience to the public.

2 One of the things that we have within
3 our contract is the contractor cannot be involved
4 or associated with any emissions related automotive
5 repairs. So it's totally divorcing repairs from
6 the testing procedure.

7 To enhance that a little bit we have a
8 voluntary certified emissions repair facility
9 program where any business that wants to apply, if
10 they have the properly trained people and the
11 equipment then they can have a sign that indicates
12 that they're certified by the State that they are
13 trained to do emissions repairs. We have
14 approximately 400 of these through the emissions
15 testing area right now.

16 We also have a portion of our program
17 which is decentralized, where State Government,
18 Local Government, Federal Government, business
19 entities that have twenty-five or more vehicles
20 then they can be certified to test only company
21 owned vehicles.

22 This end of it in our program means in
23 the neighborhood of about 30,000 vehicles a year.
24 That we think will probably fall by the wayside in
25 the enhanced I/M because we do not believe that

1 these businesses will have the investment in the
2 cost of the equipment to do a high tech test.
3 What that would mean, those vehicles then would be
4 filtered back into our system.

5 And that is basically about where we
6 stand right now. We have some target dates of
7 implementing.

8 We found in the initial program that
9 it was about eighteen months from the time the
10 contract was awarded till we were operational.

11 Right now we have one thing in our
12 favor, we have the enabling legislation. We are
13 in the rules and regulation development process
14 and we are in the RFP development process.

15 Again, we're looking here because
16 we're going to have to pick up six more political
17 subdivisions in Maryland. We only have twenty-
18 four but this will give us fifteen of those areas
19 will be in the emissions program.

20 We have a little distinct part that I
21 live in Cecil County, that falls into the
22 Philadelphia/Trenton/Wilmington area. So I'll
23 probably have to move from Cecil County.

24 But we are estimating a total of about
25 2.7 million vehicles over a two year period. So

1 about 1.4 vehicles will be tested on a yearly
2 basis.

3 I'll be glad to answer any questions
4 you may have.

5 CHAIRMAN McCALL: Thank you, Bruce.

6 BY CHAIRMAN McCALL:

7 Q. Tell me, Bruce, on a decentralized portion
8 you don't allow any service stations to do any of
9 the testing, it would just be basically a
10 centralized system? The only decentralized portion
11 would be businesses that have twenty-five or more
12 cars?

13 A. Twenty-five or more emissions effected
14 vehicles.

15 Q. But as far as service stations, privately
16 owned service stations, say they want to go out
17 and buy the equipment, would you allow them to
18 then do the inspection?

19 A. No.

20 Q. No. It's strictly a centralized operation
21 as far as the operation is concerned?

22 A. Strictly a centralized operation.

23 Q. You have what, \$4.5 million in
24 administrative costs. Can you explain--

25 A. This would be under the enhanced I/M

1 because again we're picking up additional areas,
2 so that's going to mean more personnel.

3 Just as an example, I have State personnel
4 assigned to every station during all operational
5 hours. So that's an administrative cost to me.

6 Q. Is he a troubleshooter for the State?

7 A. Yes. He handles the waivers. He handles
8 our first line of contact with the public. He
9 resolves disputes. He also monitors the
10 contractor's operation.

11 On our end of it, on the other end then we
12 do covert where we run vehicles through the
13 station. Then our Department of Environment does
14 monthly unannounced calibration audits of all the
15 equipment in every lane. So those costs are all
16 included in our administrative costs.

17 Q. Does Maryland do safety inspections?

18 A. Upon transfer of ownership only.

19 Q. Okay. And that is separate? That safety
20 inspection is separate from the--

21 A. Right, that is a decentralized program.

22 Q. How much of the fee does the State get?

23 A. Right now the State gets \$2 for every
24 initial test.

25 Q. For every?

1 A. Initial test. And every retest beyond the
2 first. Our system is set up the initial test
3 \$8.50 includes one free retest. So of that \$8.50
4 we receive \$2.00 of that. Then any retest beyond
5 the first freebie is \$8.50 also and we receive
6 \$2.00 of that.

7 Q. So the program basically pays for itself?

8 A. Yes.

9 Q. What about the siting of the locations? I
10 remember when we were down looking at the
11 centralized, as far as the centralized system was
12 concerned, whose responsibility was it to determine
13 the site, pick the site, and then go out and
14 purchase the site? Is it the contractor's
15 responsibility?

16 A. Yes. The contractors propose a site and
17 then the approval of that site was up to the State
18 under the RFP.

19 Once the site was approved then the
20 contractor purchased the land. He did the
21 construction of the building and had equipped the
22 building.

23 Q. It was up to him to get all the permits,
24 necessary building permits?

25 A. Yes.

1 CHAIRMAN McCALL: Representative Hess.
2 BY REPRESENTATIVE HESS:

3 Q. The buildings and so forth, the standards,
4 was this all done by the State specifications?
5 You supplied the vendors and the contractors with
6 the specifications as to the size, type of
7 building, and so forth?

8 A. No. The contractor proposed that.

9 Q. He totally made the proposal?

10 A. Right.

11 Q. You gave him no guidelines?

12 A. No. He had some basic guidelines that
13 they would fall into the structures in the local
14 area. That it complied with all local codes.
15 That they were so located where they would not
16 interfere adversely with traffic on that. And
17 then they would have to meet both local and state
18 construction standards.

19 REPRESENTATIVE HESS: Thank you.

20 CHAIRMAN McCALL: Thank you, Bruce.

21 Jim Bastone from Automotive Service
22 Association of Pennsylvania.

23 MR. BASTONE: My name is James
24 Bastone. I own and operate an automobile repair
25 facility in Pittsburgh.

1 I am speaking today on behalf of
2 Automotive Service Association of Pennsylvania,
3 which represents over 1500 automobile repair and
4 body shops in the state.

5 I have participated in the I/M program
6 that currently exists in the Pittsburgh area since
7 its inception.

8 To participate in the program I was
9 required to buy an analyzer which cost in excess
10 of \$7500, pay \$125 a quarter fee for a company to
11 come in and pick up the information from the
12 cassette for the State, and was locked into a
13 maintenance contract the cost of which skyrocketed
14 during the program.

15 During that time while all the
16 inherent costs were increasing we in the industry
17 were limited to charging \$8 per test, reflecting
18 only one increase from the original \$5 per test
19 cap in the initial enabling legislation.

20 The Legislature and the Governor's
21 Office refused our request for a reasonable
22 increase.

23 With that background I'm not going to
24 tell you that the decentralized emissions program
25 has been a bed of roses for the automotive repair

1 industry. However, the other reality is that the
2 Pennsylvania motorists have been used to "one stop
3 shopping" when it comes to their state inspection
4 requirements.

5 In Pittsburgh more often than not the
6 customer drops his car off for the day, gets the
7 safety and emission inspection performed at the
8 same time, and whatever repairs are necessary.

9 Prior to my coming here today I did an
10 impromptu quiz of some people in different stores
11 and department stores and that, that I just
12 happened to go into. They had no idea what I did
13 for a living or where I was coming from, just
14 happened to talk with them. This was after Sunday
15 in which an article about this meeting was in the
16 Pittsburgh Press.

17 To a person, I'm talking twenty to
18 twenty-five people, not one of them wanted the
19 present program changed. They do not want to
20 drive the car somewhere else. They have been
21 inconvenienced enough as far as they are
22 concerned. They don't want to take it to another
23 facility and if it should fail, drive back, have
24 the repairs made and then go back and have the car
25 retested. They don't have the time for that.

1 New car dealers would have to put a
2 sticker on the car prior to delivery. Are they
3 going to be required to hire someone to take the
4 vehicles to an inspection station just to perform
5 this, adding to the cost of the automobile?

6 The State certainly seems to be
7 leaning toward a centralized system. I feel that
8 most of our membership would support a
9 decentralized system if the option selected
10 provides for use of a Bar-90 or similar piece of
11 equipment.

12 All we have heard about is \$150,000 or
13 \$200,000 piece of equipment with a dynamometer.
14 That's the ultimate enhanced program. The EPA has
15 not come up with any standards yet and the Bar-90
16 equipment is the only piece of equipment that has
17 been mentioned that is qualified to do the
18 testing, and it does not cost anywhere near that
19 figure. What I have heard is closer to \$25,000.
20 Which would be the equipment necessary to do the
21 repairs if you wanted to service the vehicle and
22 put it back on the road.

23 However, if the preponderance of
24 concern leads us to a centralized system, several
25 elements would be critical to ASA if we were to

1 support such a program.

2 First, any company or its subsidiary
3 which was performing centralized tests would be
4 prohibited from doing repairs.

5 Second, the centralized testers would
6 be prohibited from doing safety inspections. Most
7 observers agree that our safety inspection program
8 works as well as any in the country. You have
9 competition in the marketplace that would not
10 occur in the centralized system.

11 Third, the workable system is needed
12 for a retest system. The question of what happens
13 when a person fails the test, and who performs the
14 retest is a critical unanswered question.
15 Remember, if we go centralized the potential here
16 is for motorists to spend not one day, but three
17 days to rectify their responsibilities under the
18 law.

19 Fourth, some consideration needs to be
20 given to shops who have purchased equipment for
21 the current program and may now find the equipment
22 useless under the new program.

23 With the convenience of the State
24 inspection program was one of the reasons that the
25 emissions program was tied into the safety related

1 program in the first place.

2 Maryland at this point I do not
3 believe has a safety program that is mandated by
4 the State. So that for their consumer to go to a
5 garage is just one inspection. Where they have to
6 go to a centralized location is just one
7 inspection.

8 Though we have heard two figures given
9 out by EPA on what they calculate the cost to be
10 at \$18 or \$20 per test. We've been doing the test
11 for \$8 using a piece of equipment that cost \$7500
12 and we're not making money on it. They're going
13 to do the test bi-annually for \$10 a year or \$9 a
14 year for a piece of equipment that runs between
15 \$150,000 and \$200,000 a year and turn a profit. I
16 have a problem with that. I'd like to see the
17 data from the EPA to prove those figures.

18 I appreciate the opportunity to
19 participate in this hearing today. We look
20 forward to working with you as the program
21 unfolds.

22 CHAIRMAN McCALL: Thank you, Jim.

23 Jim, I have a question

24 BY CHAIRMAN McCALL:

25 Q. When you speak to the centralized tests

1 any company or subsidiary doing a centralized test
2 and that company would be prohibited from doing
3 repair work; I think one of the things that you
4 may see with this legislation is that anybody who
5 does the test, be it a service station or a
6 centralized operator, that they will be prohibited
7 from doing repair work.

8 A. I haven't seen anything to that effect.

9 Q. Well I'm just-- For your information,
10 that would be something that I as well as I'm sure
11 other members of the Legislature would like to
12 see.

13 With the threshold going from now \$50 to
14 \$450, you know, I don't want to put motorists in
15 my area in the position of having the chicken or
16 the fox guarding the hen house so to speak.

17 A. Well I don't think you have that with the
18 program as it is right now. The only complaints
19 that I have heard that they were cheating, and
20 again they said it was a small amount, was to
21 doctor cars to pass inspection, not doctoring cars
22 to make them fail the inspection.

23 Q. Well I think with the \$450 threshold now
24 the incentive is going to be just the opposite.

25 A. Well you still have a regulatory factor

1 there and a lot of the items that are on the car
2 are going to be mandated that they be warranted
3 for 100,000 miles.

4 Q. Okay. Well we'll just say for the sake of
5 your Association, would your Association support or
6 not support, if you're doing the test do you think
7 you should be able to do the repair work?

8 A. Absolutely.

9 Q. You thing you should be able to?a

10 A. Yes.

11 CHAIRMAN McCALL: Any other questions?

12 (No further questions)

13 CHAIRMAN McCALL: Thank you.

14 We are going to recess for about a
15 half hour until one o'clock. And at that time
16 we'll have Secretary Davis.

17 (Hearing in recess.)

18 AFTERNOON SESSION (1:15 p.m.)

19 CHAIRMAN McCALL: I'd like to call
20 this meeting back to order.

21 At this point in time we'd like to
22 call the Secretary of the Department of
23 Environmental Resources, Secretary Davis.

24 SECRETARY DAVIS: Thank you and good
25 afternoon Mr. Chairman and members of the

1 Committee.

2 I have with me Gary Triplett of our
3 Bureau's Air Quality who can help me in any
4 technical questions which I might not be able to
5 handle.

6 I really do appreciate the opportunity
7 to come before you today to discuss the
8 transporta- tion issues related to the Federal
9 Clean Air Act.

10 It took Congress and the Federal
11 Government over a decade, it took them eleven
12 years to debate and amend the Clean Air Act. But
13 the law they finally came up with gives the states
14 very little time to meet some extraordinary
15 obligations, and there are tremendous adverse
16 consequences for Pennsylvania if we don't meet
17 them.

18 This is a situation which calls for
19 leadership from all of us if we are to escape
20 unscathed economically from the box into which the
21 Federal Government put us. And the people we
22 represent will be hurt if we don't take that role
23 to heart.

24 Although most parts of the Clean Air
25 Act require the United States Environmental

1 Protection Agency to promulgate a standard, provide
2 guidance or rule which the states are to adopt,
3 that's not the way it's working out in practice.

4 EPA is in fact late with many of the
5 products that were supposed to be in final form
6 already. And this morning Regional Administrator
7 Ted Erickson confirmed that.

8 In order to meet the tight statutory
9 deadlines, states are being required to make
10 decisions before they know the standards by which
11 the acceptability of their decisions will be
12 judged.

13 We have some general guidance in the
14 law but definitive standards are still lacking.
15 If we don't fulfill our obligations according to
16 the aggressive schedule laid down in the Clean Air
17 Act, Pennsylvania could lose billions of dollars
18 in Surface Transportation Act funds.

19 Funding of highways and other
20 transportation projects throughout the state will
21 grind to a halt.

22 In addition, EPA could impose
23 conditions upon new industries that would make it
24 virtually impossible for them to locate in more
25 polluted areas.

1 These aren't idle threats. There is
2 no discretion in the law. These sanctions are
3 mandatory.

4 There is no question that we do need
5 to take action to improve air quality in
6 Pennsylvania, where nine out of ten people were
7 exposed to unhealthy air due to ozone in the last
8 four years. Our very State Constitution
9 guarantees our citizens the right to clean air.
10 We take that responsibility very seriously.

11 But, given the tight deadlines,
12 mandatory sanctions and lack of EPA action, we
13 have some very tough decisions to make. We all
14 have a role to play in making them.

15 Governor Casey has designated DER to
16 lead Pennsylvanian's efforts to implement the Clean
17 Air Act requirements.

18 The General Assembly, DER, PennDOT and
19 other agencies need to work in partnership to make
20 sure that we meet our obligations under the Clean
21 Air Act and not threaten the economic well being
22 of the Commonwealth.

23 The recent amendments to the Clean Air
24 Act recognized that major areas of the country
25 failed to meet health standards for ozone by

1 deadlines that had passed years ago. As I recall
2 the deadline in Philadelphia was passed in 1987.
3 I think the one in Pittsburgh even earlier than
4 that. The amendments therefore devised a new
5 strategy dividing the areas which did not attain
6 ozone standards or "nonattainment areas" into
7 several categories.

8 Progressively more comprehensive
9 emission reduction requirements and specific
10 prescribed measures are mandated for the more
11 polluted areas.

12 The Act sets new dates to meet ozone
13 standards for each category as well as time tables
14 for states to take certain actions.

15 The clock for those actions started
16 ticking from the date of enactment of the Federal
17 law. Most of these timetables are not dependent
18 on any regulatory action taken by the U.S.
19 Environmental Protection Agency. We must meet the
20 deadline whether or not timely Federal action has
21 been taken.

22 In addition, the Federal law includes
23 all of Pennsylvania with other Eastern Seaboard
24 states from Massachusetts through Northern Virginia
25 in the Northeast Ozone Transport Commission, which

1 is charged with addressing ozone on a regional
2 basis. Pennsylvania's inclusion in that region
3 requires other specified measures and will affect
4 our clean air strategies in the future.

5 The attainment and emission reduction
6 deadlines as well as prescribed measures are
7 detailed in the attachment to this testimony.

8 It is important to note that,
9 particularly in Southeastern Pennsylvania, simply
10 taking the minimum measures specifically prescribed
11 in the Federal law will not bring Pennsylvania
12 into compliance with the Clean Air Act.

13 We will have to identify and implement
14 additional measures, because we are clearly
15 mandated to do what we must to ensure that
16 Pennsylvania meets and maintains the public health
17 standards established by the Clean Air Act.

18 The law has a long laundry list of
19 reductions which must come from factories and
20 other stationary sources that generate air
21 pollution.

22 We will be required to regulate
23 smaller sources of air pollution, more kinds of
24 sources and to regulate some kinds of industry
25 more stringently. Some diffuse sources such as

1 the consumer use of solvents and paints will most
2 likely be regulated by the Federal Government.

3 In short, all segments of our society
4 must contribute to our efforts to meet Clean Air
5 Act mandates.

6 We've made a good beginning.
7 Legislation amending the State Air Pollution
8 Control Act which will give DER needed authority
9 and revenues has been introduced in the House and
10 is before the House Conservation Committee.

11 Several of the required regulations
12 are either effective or in the pipeline. We have
13 begun to develop much of the rest.

14 We have been working on tasks like
15 establishing a baseline inventory of emissions, so
16 that we can measure and demonstrate our progress
17 toward meeting standards. But we have a lot of
18 work to do and the first major submission to EPA
19 is due in about nine months.

20 At least half of the chemicals that
21 cause ozone, volatile organic compounds and
22 nitrogen oxides, comes from vehicles or "mobile
23 sources." Therefore, transportation measures are
24 extremely important to overall ozone reduction.
25 The new Federal law puts some real teeth in

1 insisting that our vehicles and transportation
2 system be part of the solution, not part of the
3 problem.

4 Even though we have made great strides
5 in reducing the air pollution that comes from
6 cars, the sheer growth in the number of cars and
7 vehicles miles traveled have offset much of the
8 benefit. Since 1980 the number of cars and light
9 trucks registered in Pennsylvania has increased by
10 over thirty-five percent and the vehicle miles
11 traveled by about twenty percent.

12 Let me briefly discuss some of these
13 transportation-related emission reduction measures.
14 They encompass a comprehensive and targeted
15 strategy for reducing emissions. In addition, I
16 will also describe some of the prescriptive
17 measures required in the Philadelphia area.

18 We will have to control emissions from
19 cars in use, reduce the number of miles we drive,
20 reduce pollution generated as a result of our
21 transportation system, and change the composition
22 of fuels we use in our vehicles.

23 Federal studies show that emission
24 controls on cars deteriorate substantially: the
25 average car on the road emits three to four times

1 more pollutants than it did when it was brand new.
2 I believe this point has been made by previous
3 witnesses.

4 Also our cars now with their computers
5 are entirely different in terms of how they need
6 to be measured from what they were some years ago.

7 So the Clean Air Act prescribes an
8 unimproved program called "enhanced" inspection and
9 maintenance, and that will be required in thirty-
10 three counties in Pennsylvania.

11 An inspection/maintenance program must
12 provide a measure of assurance that the emission
13 reduction achieved by new car standards will not
14 be lost in subsequent years.

15 We cannot accept deterioration of the
16 emission controls on new vehicles if we are to
17 achieve and continue to meet the health-based
18 standards.

19 We also must take measures to ensure
20 that transportation improvement projects do not
21 increase air pollution. Specifically, DER is
22 charged with the responsibility of reviewing
23 Transportation Improvement Plans to make sure they
24 are consistent with air pollution control
25 strategies in our State Implementation Plan. The

1 two must go together. This means that if a
2 project increased air pollution in a polluted
3 area, it can't be built with Federal Funds.

4 Another important element is improving
5 our fuels so that they burn more cleanly. On
6 September 25, 1991, Governor Casey advised EPA
7 that Pennsylvania will participate in the Federal
8 reformulated fuels program for all nonattainment
9 areas. Reformulated fuel will emit fifteen
10 percent fewer volatile organic compounds and toxic
11 pollutants than present fuels.

12 DER is working on additional emission
13 reduction actions prescribed by the Clean Air Act
14 for the severely polluted five-county Philadelphia
15 area.

16 First, in order to control carbon
17 monoxide, we have proposed a regulation to require
18 oxygenated fuels during winter months.

19 Secondly, we are working in
20 cooperation with PennDOT, the Department of
21 Commerce and the Regional Transportation Agency on
22 required measures to reduce commuting trips for
23 employers of more than one hundred people, to
24 reduce emissions from large vehicle fleets and to
25 devise other transportation control measures to

1 compensate for the growth in vehicles and driving
2 miles.

3 Especially in Philadelphia but also in
4 the major urban areas around the State categorized
5 as "moderate" nonattainment areas, we are going to
6 have to prove to EPA that our strategies for
7 mobile and stationary sources will reduce emissions
8 by fifteen percent and offset all future growth in
9 emissions. This means that measures like enhanced
10 vehicle inspection and maintenance, Stage II
11 control at the gas stations, and reformulated
12 gasoline which reduces emissions cost effectively
13 are essential.

14 The Governor has also announced that
15 Pennsylvania will participate in the California low
16 emission vehicle program, as will our neighboring
17 states. This program I know is controversial but
18 I think clearly it's coming and will move us
19 gradually toward cars built specifically to offset
20 the long term growth in a number of the motor
21 vehicles and the vehicle miles we travel.

22 To return to the issue of enhanced
23 inspection and maintenance programs, we are first
24 required by law to implement a program that meets
25 the EPA requirements. As you heard, we don't know

1 what those requirements are yet.

2 Governor Casey wrote to EPA
3 Administrator William Reilly last week urging him
4 to immediately adopt the necessary regulations so
5 that Pennsylvania can do its part.

6 Beyond this, enhanced inspection and
7 maintenance programs in Pennsylvania must also
8 ensure we reduce emissions as mandated in the Act
9 as well as attain and maintain ozone health
10 standards.

11 In Southeastern Pennsylvania that
12 means we must have the maximum emission reduction
13 possible. Anything less would require us to
14 achieve more emission reductions from other less
15 effective transportation control measures or
16 industries who have already invested substantially
17 in controlling their emissions would be further
18 severely affected.

19 In the moderate nonattainment areas,
20 the inspection/maintenance program must provide
21 enough emission reduction credits to ensure that
22 we meet the fifteen percent emission reduction
23 required by the Clean Air Act. We need to meet
24 that standard by 1996.

25 We expect that the control measures we

1 have already underway, Stage II vapor controls and
2 reformulated gasoline, will provide us with about
3 two-thirds of the required reduction.

4 I am sorry I can't be more exact, but
5 we have not yet completed the data collection and
6 analysis that will allow us to be more accurate.
7 And moreover, since EPA has not yet promulgated
8 the enhanced inspection/maintenance requirements, I
9 cannot give you good estimates of the emission
10 reductions that would be available by using
11 various of the enhanced inspection/maintenance
12 alternatives that are available.

13 In closing, let me return to a point
14 I made earlier.

15 EPA was required to promulgate a
16 regulation for enhanced inspection and maintenance
17 by November 1991. We are required, the states are
18 to implement it by November 1992. The EPA has not
19 promulgated the regulation and in fact we are now
20 told they may not do so until the date the state
21 is supposed to have the system in place, which is
22 next November.

23 Then what? Whether EPA can grant
24 leniency to states because an EPA rule has not
25 been finalized will probably be decided by the

1 Courts. However, the law allows for third parties
2 to sue EAP to force them to impose sanctions if
3 EPA fails to do so on its own.

4 Several such actions have already been
5 taken by parties outside government to force
6 action where EPA is behind schedule.

7 We do not intend to be a test case in
8 that issue. We want to move ahead as promptly as
9 possible and develop a record of action that will
10 withstand such suits and give us a reasonable
11 defense in Court if that becomes necessary.

12 So, Mr. Chairman and members of the
13 Subcommittee, we have a very tough job ahead. I'm
14 glad to offer all possible assistance to the
15 Subcommittee in working together to undertake a
16 very challenging task that the Federal legislation
17 requires us to complete.

18 Thank you very much.

19 CHAIRMAN McCALL: Questions?

20 BY CHAIRMAN McCALL:

21 Q. We hear a lot of mention of the credits
22 that we have to achieve. Can you outline that,
23 how that works?

24 A. I wish I could but as I understand it--
25 Do we have that yet, Gary?

1 MR. TRIPLETT: Are you talking about
2 the credits which will accrue to various types of
3 I/M programs?

4 CHAIRMAN McCALL: Right.

5 MR. TRIPLETT: That's what EPA, I think
6 that will be part of the final guidelines that EPA
7 will assign specific credits to specific type
8 programs. It in fact EPA allows choices. If EPA
9 comes out with more than one recommended strategy
10 they will probably come out with two or more
11 different credits.

12 SECRETARY DAVIS: We can speculate. We
13 can speculate that they may have a different
14 standard for decentralized than for centralized
15 inspection.

16 We can speculate that they might have
17 a different approach to bi-annual inspection as
18 opposed to annual. We don't know.

19 We have been having detailed
20 conversations with our Regional people in
21 Philadelphia and they have tried to be as helpful
22 as possible, but the bottom line just isn't
23 available yet.

24 CHAIRMAN McCALL: So enhanced
25 inspection may be three credits. If it's

1 something other than the enhanced inspection it
2 may be one credit. That type of thing. And you
3 have to achieve so many credits in order to reach
4 attainment. That's how it basically works?

5 MR. TRIPLETT: There's a fifteen
6 percent reduction requirement in moderate and
7 severe areas. In severe areas an additional three
8 percent a year. That's specified in the Act.
9 That's one issue on mandated percent reduction.

10 The other mandate we have is to attain
11 the ambient air quality standard. In the case of
12 Southeastern Pennsylvania it may be that the
13 fifteen percent plus the three percent per year
14 may not be enough. We don't know. It's too early
15 to project that.

16 But as I said there are two issues.
17 One is a mandated fifteen percent. The other
18 issue is attaining the standard by whatever
19 measures you have to take.

20 SECRETARY DAVIS: And we really as I
21 understand it we don't know what it's going to
22 take in EPA terms to add up to into their
23 requirements.

24 CHAIRMAN McCALL: What would the first
25 submission be to EPA in November? November of

1 1992 is the first submission. What would have to
2 be included in that submission?

3 MR. TRIPLETT: We've made some of the
4 submissions already. We mentioned the Stage II.
5 We're going to have reasonably available control
6 technology regulations. The oxygenated fuels.

7 CHAIRMAN McCALL: These are all things
8 that you are intending to do?

9 MR. TRIPLETT: These are things which
10 are in progress, some of which are promulgated,
11 some of which will be promulgated. And what they
12 really want by November of 1992 is essentially a
13 commitment that we will in fact carry out all of
14 the responsibilities assigned to us under the
15 Clean Air Act.

16 SECRETARY DAVIS: I might say that a
17 very important part of that which they're going to
18 be looking at in November of this year is whether
19 or not the State legislation has been modified to
20 permit us to carry forward on the program. That's
21 going to be a bottom line concern.

22 CHAIRMAN McCALL: That would be one of
23 my questions is that would it be possible to
24 promulgate rules and regs without legislative
25 oversight at this point? Do you feel you have

1 that authority right now?

2 MR. TRIPLETT: We can go a certain
3 part of the way, but we cannot enter into the kind
4 of comprehensive permitting program that the new
5 law requires without the additional authority.

6 It's going to be a difficult timing
7 problem. The regulatory process is lengthy. We
8 are hopeful that if we have the regulations on the
9 table before the Environmental Quality Board,
10 perhaps out for public hearing and so forth, even
11 if they have not finally been adopted that DPE may
12 find that acceptable. But if not then we're going
13 to be quite late in meeting some of those
14 requirements.

15 CHAIRMAN McCALL: And that's where the
16 threat of the loss of funds comes in.

17 SECRETARY DAVIS: Yes. The question
18 then is whether or not we can make a case that we
19 have taken the actions that they believe are a
20 minimum necessary to meeting the requirements of
21 the law. If not, then the sanctions fall.

22 CHAIRMAN McCALL: Was part of your
23 submission in order to achieve attainment the LED
24 low emissions?

25 SECRETARY DAVIS: That at best if

1 everybody said go today as I understand it, that
2 wouldn't start to come into play until after these
3 deadlines have fallen, '96 or something.

4 MR. TRIPLETT: 1995/96.

5 SECRETARY DAVIS: 1995/96 before that
6 could become effective. So we need to move well
7 in advance of that. That's a long term strategy.

8 CHAIRMAN McCALL: Just to pick your
9 brain somewhat. When you look at the areas that
10 had - help me here - the source or the higher
11 levels and lows of nonattainment or severe
12 nonattainment, when you look at the Philadelphia
13 as compared to California that had 100 days.

14 What would necessitate us to try to
15 put that type of technology into our cars when
16 really seven days isn't as critical as maybe a
17 hundred days in California? Why would we be going
18 that far at this point, or looking at going that
19 far at this point?

20 SECRETARY DAVIS: Well I think, and I
21 will ask Gary to help me on this, but this has
22 some substantial misunderstanding about what it is
23 we're committed to in the California low emissions
24 plan.

25 That is a process which has a number

1 of points of action. And we are committed to that
2 process, but what we may find necessary and useful
3 in Philadelphia may be a different point at which
4 we ring the bell and get off so to speak than what
5 they would in the Los Angeles Basin.

6 So it is not something that is a
7 formula which needs to be followed through
8 rigorously.

9 Am I right on that?

10 MR. TRIPLETT: That's correct. And
11 the California standards as the Secretary
12 indicated, are a maintenance strategy. It has
13 really nothing to do with attaining the time
14 schedule specified in the Act. So it's really not
15 looking at that as something to compare the I/M
16 for example, which is part of the attainment
17 strategy.

18 The concern is that as the EPA
19 Regional Administrator indicated this morning, is
20 that VMT continues to increase.

21 SECRETARY DAVIS: That's vehicle miles
22 traveled.

23 MR. TRIPLETT: Vehicle miles traveled.
24 Sorry. Even though we do our best planning and
25 come forward with the available strategies and

1 implement them, we have to look toward the future.
2 And it appears that California will not be the
3 only place where better vehicles will be required.

4 Some of the northeast states they have
5 a consortium called NESCOM, Northeast States For
6 Common Areas Management. They hired a contractor
7 to evaluate the effectiveness of the California
8 program. Their conclusions obviously are different
9 from what you heard this morning relative to the
10 effectiveness of such a program. But their
11 conclusion was that the California standard as a
12 long term strategy will in fact be required as a
13 maintenance strategy.

14 CHAIRMAN McCALL: Do you think that
15 Pennsylvania is looking at a centralized as
16 opposed to a decentralized system if we opt into
17 say the decentralized or centralized?

18 We heard testimony that there is a
19 possibility that the Bar-90 test would be
20 sufficient enough to achieve certain credits.

21 Do you have any comments on that?

22 MR. TRIPLETT: Well this goes back to
23 your original question. There will be a
24 different-- If in fact EPA would allow such a
25 program there would be a much lesser credit given

1 to that.

2 CHAIRMAN McCALL: And if there's a
3 lesser credit given to that then we have to pick
4 it up somewhere else?

5 MR. TRIPLETT: Yes. That's correct.

6 SECRETARY DAVIS: Thanks Gary, that's
7 an important point.

8 It is also along those lines important
9 to understand that we're squeezing as hard as we
10 can on stationary sources too and we can only go
11 so far on that.

12 The outlook is really very very
13 difficult. And I know that many motorists are
14 going to consider it a difficulty and an expense
15 and so forth to have to comply with this program,
16 but there really is no alternative to it.

17 CHAIRMAN McCALL: Did I understand you
18 to say also that if we would adopt the California
19 emission standards that it would really have a
20 menial effect to achieve that fifteen percent
21 attainment?

22 CHAIRMAN DAVIS: We need to achieve
23 that fifteen percent by 1996. And it's doubtful
24 that even in California they're going to see any
25 substantial progress. They may be a little bit

1 ahead of that, but not much.

2 No. As Gary said, it is essentially to
3 see that we keep the gains that we make.

4 CHAIRMAN McCALL: Because of the
5 vehicle miles traveled?

6 SECRETARY DAVIS: Yes. That's right.

7 CHAIRMAN McCALL: Representative
8 Hayden.

9 REPRESENTATIVE HAYDEN: Thank you, Mr.
10 Chairman.

11 You raised the point about achieving
12 attainment through reduction in different kinds of
13 control strategy.

14 I would suggest that not only do we
15 talk about a trading kind of mechanism, which is
16 if you don't get enough from all the sources
17 you've got to get it somewhere else.

18 The Federal law goes even a step
19 further for extreme ozone nonattainment. The
20 Statue talks about mandatory, I call it a penalty,
21 which is that if you're not in attainment by the
22 deadline each major stationary source in the
23 severe nonattainment area will have to pay a fee
24 of \$5000 per ton of VOC emissions over a certain
25 baseline amount.

1 So what in a sense we're doing is
2 we're saying that if we can't get the emissions
3 credits through the mobile sources, we're just
4 going to go ahead and put a heavy fine on the
5 stationary sources. Which I think has economic
6 implications beyond people having to incur a once
7 every two year \$18, \$20 emissions program.

8 CHAIRMAN DAVIS: That's fundamentally
9 important and the economy just can't take that
10 kind of a battering. We're having difficulties
11 without adding that sort of a penalty.

12 REPRESENTATIVE HAYDEN: The one
13 regulatory package that I'm particularly interested
14 in was the transportation control measure package
15 requirement.

16 When do you anticipate a draft copy of
17 that will be available?

18 MR. TRIPLETT: In terms of the
19 transportation strategy, the strategy we're working
20 on right now we will have a draft within a couple
21 months. It has to do with trip reduction, the
22 employer incentive program. Other measures will
23 probably not be out for six months or longer.

24 REPRESENTATIVE HAYDEN: Is there
25 Federal money available to do any of this planning

1 or any of this drafting of these regulations? And
2 if there is are we taking full advantage of it?

3 MR. TRIPLETT: There are Federal
4 moneys. They would go to the Transportation
5 Department. I'm not specifically familiar with
6 it.

7 SECRETARY DAVIS: There are some
8 Federal funds for that program.

9 REPRESENTATIVE HAYDEN: Thank you.

10 CHAIRMAN McCALL: One last question.
11 Just comments on a centralized as opposed to a
12 decentralized system, in the law itself they are
13 basically recommending a centralized system, unless
14 we can demonstrate to the satisfaction of the
15 Administrator that a decentralized program will be
16 equally effective.

17 Now when we did the storage tank
18 legislation I had three service stations in my
19 hometown that just closed.

20 I would say in the town next door to
21 me two more closed. And most of the service
22 stations in my District anymore do not offer that
23 type of service. There's a few that offer safety
24 inspections, but it's really a grocery store with
25 gas pumps.

1 Do you think we can effectively
2 administer a decentralized program?

3 SECRETARY DAVIS: Well as a personal
4 view or at least an observation, based on what
5 I've learned to date, it seems unlikely to me for
6 the reasons you just specified, not very man gas
7 stations would like to make investments of over
8 \$100,000 in order to collect \$20 maybe every other
9 year from a motorist.

10 And if there is a prohibition against
11 that arrangement in terms of being able to fix and
12 do the repair work that's involved, then I
13 certainly don't look forward to much enthusiasm on
14 the part of many garage or gas station operators
15 to make that kind of an investment.

16 CHAIRMAN McCALL: Well the argument is
17 to get the return that they have to do the
18 assembly line type of procedure to get as many
19 cars through there to make up the money.

20 SECRETARY DAVIS: Yes. And then you're
21 changing your grocery store gas station into a
22 high volume several lanes I would suppose at least
23 to make it work of cars going through it. It's
24 quite a different operation.

25 CHAIRMAN McCALL: Other questions?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(No further questions.)

Thank you very much, Secretary Davis.

SECRETARY DAVIS: You're welcome.

CHAIRMAN McCALL: Pete Laviola and
Bill Strauss, Service Station Association.

MR. LAVIOLA: I'm Pete Laviola and
this is Bill Strauss.

CHAIRMAN McCALL: You can proceed.

MR. LAVIOLA: Good afternoon. As
President of the Service Station & Automotive
Repair Association of Pennsylvania Delaware, I want
to thank you for giving me the opportunity to
express my concerns over the pending changes in
the emissions program.

As I express my concerns, please keep
in mind that I am speaking to you not only as the
President of my organization, but also as a
vocational School automotive instructor, ASE
certified automotive technician, and as a member
of the Society of Automotive Engineers.
Additionally, the automotive retail business has
been a part of the current emissions program since
its inception.

The decentralized program to this date
has been, in my opinion, successful in spite of

1 the controversy over the present fee cap and the
2 limited geographical coverage of the present
3 system.

4 The quality of air across the state
5 has been improved over the past two years thanks
6 to the efforts by industry and small businesses.
7 The major oil companies took the initiative to
8 lower Reid vapor pressures in gasolines while the
9 emissions program did its job in policing the
10 emissions standards set up by the EPA in the most
11 severely affected areas, although I cannot
12 understand why the standards for the 1981 cars are
13 the same as those for the 1992 cars. As a trained
14 technician I can only guess that the EPA dropped
15 the ball on this one.

16 Of much more concern is the growing
17 amount of evidence that the EAP has been less than
18 truthful to the citizens of Pennsylvania as to the
19 true air standards that exist today.

20 In fact the National Academy of
21 Sciences has recently charged the EAP with using
22 1988 air standards instead of 1991 air standards
23 as mandated by Congress.

24 Additionally, the EPA has deliberately
25 ignored another Congressional mandate to issue the

1 on-board vehicle canister data due last November
2 and it was three months past.

3 My sources in Washington have reported
4 to me the deep divisions within the EPA itself
5 concerning a centralized versus decentralized
6 inspections.

7 Obviously, the credibility of the EPA
8 is on the line in Washington as I speak. My
9 question to you is how can this agency, with all
10 its credibility problems and internal chaos, be
11 allowed to influence changes in our present system
12 until it proves itself credible once again.

13 This credibility not only addresses
14 the possible cover up of true data but also how we
15 are going about dealing with the photo-chemical
16 smog problem.

17 Everything that has been regulated in
18 the way of control to date addresses the reduction
19 of hydrocarbons. The NOx problem has been ignored
20 as the real way to address the problem.

21 Due to this credibility gap, I feel
22 that the existing program, decentralized, should
23 remain intact in the foreseeable future.

24 The cost to industry and to the
25 consumer will once again skyrocket simply to

1 satisfy a regulatory agency's whims of change.
2 Enclosed in my article is a copy; if you look on
3 the back of your article there, we're the National
4 Academy of Science Trashes Clean Air Act.

5 I would like to just direct a comment
6 down to the middle of the second column, and my
7 pardon for the copy, it's not a very good copy, it
8 mentions here, "Yet from 1989 through 1991 EPA
9 data showed that only twenty-seven cities were in
10 violation of smog or ozone standards, a sharp
11 reduction from the eighty-eight cities in the
12 1987-89 period.

13 In a paper prepared for the Cato
14 Institute in Washington, D.C., Dr. Kay Jones,
15 formerly a senior scientist with the President's
16 Council on Environmental Quality under three
17 administrations, shows that the EPA deliberately
18 withheld the 1989 and 1990 data until after the
19 final passage of the 1990 Clean Air Act. Yet the
20 data trend continued into 1991, showing a sixty
21 percent median reduction in expediciencies
22 nationwide.

23 Mr. Jones directly accuses the EPA of
24 deliberately biasing this debate by rushing out
25 the 1988 data in September of 1987, some ten

1 months in advance of their normal data collection
2 cycle."

3 And the following paragraph: "Mr.
4 Jones' report includes in harsh words for a good
5 scientist: 'The EPA charade is over. Current EPA
6 officials responsible for this charade should be
7 held accountable for such blatant public
8 misinformation."

9 And a little comment before I
10 continue. It's no wonder why EPA can't give the
11 state any direction, because they don't know where
12 they're going and the blind can't lead the blind.
13 It's as simple as that gentlemen.

14 To continue on. It is my
15 understanding that PennDOT is in favor at this
16 point of a centralized system.

17 I have previously expressed my
18 concerns with this type of program with PennDOT
19 personnel. To my surprise, when discussing the
20 possible scenarios, the reaction that I received
21 was one of "we never thought of that."

22 Unfortunately if we flashback to the
23 beginning of the present program, it was the lack
24 of input by the industry that caused many of the
25 problems that exist today.

1 A few years ago, my Association took
2 the initiative to develop a dialogue with PennDOT
3 where we could communicate our concerns about the
4 emissions program.

5 An Ad Hoc Emissions Advisory Committee
6 was formed, bringing in representatives from our
7 Association, ASA, the Delaware County Inspection
8 Association, and the New Car Dealers. I am proud
9 to say that through dialogue much was
10 accomplished. It seemed we were on the right
11 track so to speak.

12 Unfortunately, much to my dismay, the
13 Emission Advisory Committee has never been invited
14 to meet with the EPA and PennDOT about the
15 possibility of changes in the program.

16 I strongly feel that this has been a
17 major mistake leaving out the expertise of the
18 technicians in the field. Obviously, my first
19 concern is that of the past repeating itself by
20 ignoring the input of technicians who are doing
21 the tests on a daily basis.

22 My second concern is the possibility
23 of the independent shop losing safety inspection
24 to a centralized, watered down inspection.

25 Our decentralized safety inspection is

1 the envy of many across the country. And I'm
2 personally very proud to say that because I've
3 been a safety inspection for twenty-five years.

4 It has worked very well in that the
5 Pennsylvania car is very safe to operate and that
6 competition between independents has kept the costs
7 consumer friendly.

8 However, the customer is not going to
9 appreciate having to take his or her car to their
10 trusted garage for safety inspection one day, then
11 to a centralized emission testing center a second
12 day.

13 The existing program is very
14 convenient to the consumer and he or she has both
15 the emissions and safety inspection done at the
16 same trusted shop on the same day. Why would we
17 want to eliminate such an efficient program for
18 the sake of bureaucratic whims?

19 I am sure that the consumer is not
20 going to be happy about this type of unprecedented
21 and unnecessary inconvenience. I am sure there
22 will be some type of pressure on the legislature
23 to alleviate such a problem.

24 Unfortunately, it would be very easy
25 to quench this outcry by centralizing the safety

1 test. However, by doing so the integrity of the
2 present test would have to be greatly compromised
3 in order to accommodate the vast number of cars
4 that would bottle up the system.

5 My third concern is that of who will
6 repair the failed vehicle and who will recertify
7 it?

8 If the above scenario wasn't bad
9 enough, look what would happen to the car owner if
10 his car fails the emissions test:

11 First Day: He takes his vehicle to a
12 private shop for his safety inspection.

13 The second day he takes his vehicle to
14 a centralized emissions center for a test and the
15 car fails. Assuming the car fails in this
16 scenario.

17 The owner must then contact the
18 private shop to make an appointment for emission
19 repairs. Most shops such as mine operate on a two
20 day advanced appointment system. I'm sure your
21 garage owner does.

22 Two days later the owner takes the car
23 to a private garage for repair.

24 Then the following day he has to take
25 the car back to a centralized emissions test

1 center - a week has just passed - if it doesn't
2 pass who is right? Who is wrong? Where does the
3 consumer now turn?

4 In reviewing the above scenario, I
5 would strongly urge the state to implement a
6 hybrid type of emissions testing program if, due
7 to political pressure, the present decentralized
8 program is doomed to extinction.

9 In such a program, the vehicle would
10 be initially emissions tested at a centralized
11 site. If the vehicle passes the certification
12 sticker would naturally be issued immediately.

13 However, if the vehicle fails, the
14 privately owned repair facility would make the
15 repair, document it, and then issue the
16 certification sticker. This procedure would be
17 much more consumer friendly in terms of cost and
18 time.

19 I might suggest to add even more
20 credibility to the program, especially in the eyes
21 of the consumer, all emissions technicians who
22 either repair or retest a car would be required to
23 pass an updated state course and/or be ASE
24 certified in Engine Tune-Up and Emissions Control.

25 This testing and certification can be

1 handled by the local vocational schools throughout
2 the state.

3 I am presently the emissions training
4 instructor at the Center For Arts and Technology,
5 and upon polling three successive emissions classes
6 I have found this concept to be very popular among
7 the perspective technicians who are going through
8 the program.

9 However, it is my understanding that
10 presently schools in areas of the state where the
11 program is anticipated to spread are now
12 conducting or are planning to hold the present
13 state emissions certification courses.

14 I feel this should be stopped
15 immediately in all fairness to thousands of
16 technicians who are paying fees out of their
17 pocket, let alone their time, until the program
18 and its new certification criteria, if any, is
19 promulgated.

20 In summary, let me repeat that I
21 sincerely feel a state-wide decentralized program,
22 as is the safety program, would be the most
23 efficient and consumer friendly program to build
24 upon, while assuring the continued improvement of
25 the air quality which has occurred under the

1 existing program.

2 There are few states that have
3 Pennsylvania's expertise in handling decentralized
4 inspection, either emissions or safety.

5 This is a very important point in that
6 Pennsylvania has been looking to other states that
7 have little or no expertise in the operation of a
8 decentralized program, be it safety or emissions.

9 Why change a system that we have
10 excelled in, decentralized testing, other than
11 because of pressure by EPA?

12 This is in my opinion a classic case
13 of Federal bureaucracy trying to interfere with a
14 successful state-run program.

15 In any event, I strongly urge the
16 Commonwealth to decide on a program as
17 expeditiously as possible, that all planned and
18 ongoing certification of techs in areas not
19 presently under the program be halted, moneys
20 already collected to be refunded immediately, and
21 that if a centralized program is forced upon us a
22 prohibition be enacted to prevent the
23 centralization of both safety and emissions
24 inspections together, and it be one of a hybrid
25 system which would be, under the circumstances,

1 the fairest to the consumer and of course the
2 automotive technician who has invested time and
3 money also.

4 Thank you for allowing me to present
5 our concerns and the concerns of our membership.
6 If you have any questions I'll be glad to answer
7 them.

8 BY CHAIRMAN McCALL:

9 Q. If we should go to a centralized or
10 decentralized system, the cost of the equipment,
11 do you think that a mom and pop service station
12 owner would be able to afford that?

13 A. Absolutely not. But there's something
14 that people are misinformed about. The gentleman
15 from ASA said they have 1500 members. Okay. I
16 would imagine throughout the State of Pennsylvania
17 - I don't know, John, if you have a count on how
18 many emissions stations there are.

19 There's 3500 emissions inspection
20 stations. Safety inspections are going to be way
21 beyond that. We're talking thousands and
22 thousands of facilities that are available right
23 now.

24 So forget about the mom and pop.
25 That's another picture. I'm in the repair

1 business. Bill's in the repair business. There's
2 other gentlemen in the audience that are. We're
3 not mom and pop operations.

4 We are operations that are, my own
5 business is almost a \$2 million a year business.
6 And many other garages can speak for even figures
7 higher than that. So we're not exactly mom and
8 pop stations. And, yes, if you look into the Bar-
9 90 tester, yes, they're very affordable. There's
10 absolutely no doubt about it.

11 Just to follow up on that. The EPA
12 gentleman kept talking about this test. The
13 computer controls that are on an automobile
14 nowadays, there's only one thing that locks that
15 computer into controlling the car and that's the
16 temperature of the engine.

17 Once that computer goes into what we call
18 a closed loop operation, that computer doesn't
19 care if that engine is operated at 800 RPM's or at
20 1000 RPM's. If the engine can rev that high, it
21 has full control of the fuel management system and
22 the emission timing of that engine.

23 The sensors are on that computer such as a
24 throttle ignition sensor as an example. That
25 sensor operates within a five volt parameter

1 whether you're going down the road at sixty miles
2 or if you're sitting at idle. It makes no
3 difference. That's why a high speed test is a
4 bunch of baloney.

5 As far as pressurizing fuel systems,
6 that's a joke. If you're driving a 1990 or later
7 car, your car right now has a fuel pump in its gas
8 tank that's producing 120 pounds of pressure, and
9 if you have a fuel leak you're going to know it.
10 You don't have to put a test on it.

11 And a simple infrared analyzer that
12 measures hydrocarbons, any basic technician can
13 pick up a fuel leak just like.

14 I'd just like to dispel a couple of those
15 comments that I heard earlier.

16 Q. Well, you know, maybe mom and pop isn't a
17 true word for Delaware County, but it is for
18 Carbon County. And it is for a lot of counties in
19 this Commonwealth. And I know in my county alone
20 I would say the majority, and when I say the
21 majority, well over ninety percent, ninety-five
22 percent, and I'm just speaking just from the
23 knowledge of my District, would not be able to
24 afford a \$125,000 piece of equipment.

25 A. The Bar-90, a base Bar-90 unit is around

1 \$10,000 to \$11,000. Where these figures come
2 from, I don't know. I mean it just blows my mind.

3 Q. The fact is that if we don't get the
4 appropriate credits from the mobile source we're
5 going to have to from the stationary source.

6 A. The credits are going to be there in all
7 due respect.

8 Pittsburgh, our Director in Pittsburgh was
9 on the radio this morning. In Pittsburgh there
10 was a moderate out of attainment area, had no days
11 in the last two years. Philadelphia was down to
12 six hours out of seven days.

13 We're going in the right direction. The
14 point I'm saying is, and the engineer from GM
15 brought it up, why use a sledge hammer to put a
16 thumbtack in a wall? Or let's crawl before we
17 walk. Because we can go into this program and
18 right now as Secretary Davis said, EPA is under
19 the gun in Washington.

20 That gentleman that came from EPA from Ann
21 Arbor, they want centralized inspections. When
22 you talk to the people in Washington EPA they
23 could care less. And they're trying to mandate a
24 program to us. And quite frankly I think
25 Pennsylvania should deal with Pennsylvania's own

1 business.

2 Q. Your feelings, if you do the inspection do
3 you feel you should be able to do the repair work?

4 A. Absolutely. I've done the safety
5 inspection for twenty-five years and I've done the
6 repair work.

7 Q. You don't feel there's any conflict there?
8 Do you speak often to the consumer and the
9 Consumer Protection Agency?

10 A. Absolutely not. When you go to the doctor
11 and he diagnoses your problem, do you go to
12 another doctor to have it fixed?

13 Q. I'm not going to argue with you. But like
14 I said, the figures will tell you that.

15 A. I'm not trying to be smart. The point is
16 that's where the certification of the technicians
17 comes in handy.

18 Q. But you speak to consumer confidence and
19 safeguards for the consumer--

20 A. Absolutely.

21 A. Don't you think a good safeguard for the
22 consumer is that if you do the inspection you
23 can't do the testing; if you do the testing you
24 can't do the repair work?

25 A. I think the best safeguard to the

1 consumer, and this is one thing I do agree with
2 the EPA on, one of several things I agree with -
3 I don't disagree with them on everything - is the
4 fact that the person who does the repair has got
5 to have a certification. A genuine certification.
6 Not just like here I am you know.

7 And in all due respect to the Pennsylvania
8 Vehicle Code, when I certify somebody to safety
9 inspect a car, he doesn't have to know how to
10 repair it. He just has to know the rules and
11 regulations to safety inspect it. That's me,
12 that's not being fair to the consumer and I have a
13 problem with that.

14 Q. How do we put safeguards in for the
15 consumer right now then?

16 A. Well right now we do have an emissions
17 certification, which every mechanic has to have.

18 Q. I'm saying on the repair work. How do we -
19 -

20 A. They're built in as with any safeguards.
21 You have consumer groups. You have the Better
22 Business Bureau. They're built in.

23 I know with safety inspection if my
24 Trooper gets a phone call from one of my
25 customers, he's going to be on the phone real

1 quick. And that's the beauty of the decentralized
2 system. It works nice. It weeds out the guys who
3 don't know what they're doing. But I do agree the
4 level of competence of the mechanics has got to
5 keep going up too.

6 Q. It would seem to me though that the money
7 for the service stations would be in the repair
8 and not in the inspections.

9 A. Well it's not just service stations. It's
10 not just the repair business at all. People are
11 in the repair business, okay, to make a profit.
12 That's been the biggest argument over the fee cap.
13 We don't want to get into that.

14 The problem is, it's just like-- I'll go
15 right back to the analogy with the doctor. If you
16 have a doctor and you go to him just for his
17 opinion, okay, and all his so-called patients do
18 and never get anything else done, he's going to go
19 out of business.

20 So it's like in any field, okay, you
21 become a trusted member of your community and you
22 live and die on your reputation. And generally
23 speaking with competition out there the consumer
24 pretty much out there is a lot more intelligent
25 than people give him or her credit for.

1 CHAIRMAN McCALL: Thank you.

2 MR. LAVIOLA: Okay.

3 CHAIRMAN McCALL: Gary Huggins. Gary
4 is with the Coalition for Safer, Cleaner Vehicles.

5 MR. HUGGINS: Mr. Chairman and members
6 of the Committee, we appreciate the opportunity to
7 present testimony on Pennsylvania's plans to
8 strengthen your I/M emissions program.

9 I'm Gary Huggins, Executive Vice
10 President of the Coalition for Safer, Cleaner
11 Vehicles. We are a national non-profit consumer
12 environmental and industry organization committed
13 to assisting states in adopting and improving
14 vehicle emissions and safety inspection programs.
15 We also provide public education on the benefits
16 of vehicle inspection.

17 Our membership includes consumer
18 groups which represent over 50 million people
19 nationally. State vehicle and pollution control
20 administrators. Automotive associations.
21 Individual companies and others.

22 The Coalition supports the adoption of
23 the most effective inspection programs available to
24 achieve the goals of cleaner air and safer
25 highways. CSCV has not formally taken a position

1 favoring either decentralized or centralized
2 inspection programs.

3 In our testimony we will present the
4 facts and the details of the 1990 Clean Air Act
5 Amendments, EPA research and the results of our
6 survey on peoples' experience with vehicles
7 emissions inspection programs.

8 Planning for enhanced emissions
9 inspection programs should focus on effectiveness,
10 cost and building public support for the program.

11 Ineffective emissions inspection
12 programs will not survive in the marketplace. the
13 public, having invested both personal time and
14 fees for inspections, will not continue to accept
15 any failure to achieve significant improvements in
16 air quality.

17 The 1990 Clean Air Act Amendments
18 direct the U.S. EPA to establish a minimum
19 performance standard based on the performance
20 achievable by annual inspections in a centralized
21 testing operation.

22 States will be required to show that
23 their I/M program is equal in effectiveness to the
24 performance standard.

25 It should be noted here that EPA has

1 not yet determined what "equal" means.

2 Congress has clearly indicated,
3 however, that quality is non-negotiable regarding
4 vehicle emission inspections required by the 1990
5 Clean Air Act Amendments.

6 According to EPA vehicle emissions are
7 responsible for up to fifty to seventy percent of
8 the volatile organic compounds which pollute the
9 air.

10 The EPA has found that the most cost
11 effective pollution control strategy available is a
12 high tech vehicle emissions inspection program.
13 They estimate that high-tech I/M will cut vehicle
14 emissions by thirty percent, at a cost of about
15 \$10 per vehicle per year, and a total cost of \$500
16 per ton of pollutants removed.

17 Federal Clean Air Act requirements in
18 the absence of a strong I/M program include very
19 costly additional controls on small business and
20 industry which will cost over \$5000 per ton. This
21 will have a negative effect on employment,
22 competitiveness and growth.

23 The potential thirty reduction in
24 vehicle emissions from a high-tech I/M program
25 will help achieve about ten percentage points

1 towards the Clean Air Act's requirement that
2 polluted areas achieve a twenty-four percent
3 overall emissions reduction by the year 2000.

4 If attainment targets are not met,
5 growth will be curtailed and jobs will be lost.
6 Additionally, fees and limitations on vehicle use
7 will likely be necessary.

8 To put this in perspective, according
9 to EPA high-tech I/M alone in most areas can
10 achieve larger emissions reductions than the
11 complete elimination of all emissions from entire
12 categories of area sources such as bakeries, tire
13 manufacturers, bulk gasoline terminals, dry
14 cleaners, and rubber manufacturers combined. It
15 can also do so again at \$500 per ton cost as would
16 go to \$5000 for these other sources.

17 Additionally, the increased vehicle
18 emissions reduction achieved through a high-tech
19 I/M program will minimize the need to implement
20 more onerous transportation control/reduction
21 strategies such as restricting car usage, tolls on
22 heavily traveled roads and a parking tax in
23 metropolitan areas.

24 In September 1991, Riter Research of
25 Annapolis, Maryland, conducted a random survey of

1 1008 adults for the Coalition on their experience
2 with vehicle emissions testing programs.

3 The survey was conducted in the
4 following five states: California, New York, Texas,
5 Maryland and Wisconsin.

6 The purpose of the survey was to
7 determine:

8 1. Support for programs to reduce air
9 pollution from vehicles in areas that do not meet
10 Federal Clean Air Act requirements.

11 2. Experience with current vehicle
12 emissions testing programs.

13 3. Attitudes about different types of
14 vehicle emissions testing programs.

15 4. Support for inspection of
16 vehicle's critical safety items.

17 The results are as follows:

18 Seventy-two percent of those surveyed
19 favored establishing a more effective vehicle
20 emissions testing in order to achieve cleaner air.

21 While only thirty-seven supported
22 mandatory car pooling in metropolitan areas.
23 Twenty-six percent support tolls on heavily
24 traveled roads. And only twenty percent supported
25 restrictions on vehicle usage.

1 The price sensitivity regarding the
2 inspection programs. Overall seventy-four percent
3 of those surveyed felt that the \$10 fee was
4 reasonable.

5 Another matched sample was asked about
6 a \$30 fee and only forty-four percent felt that
7 fee was reasonable. And when asked about the \$50
8 fee, thirty percent felt the fee was reasonable.

9 Most motorists, whether from states
10 with decentralized or centralized inspection
11 programs found the locations to be convenient.
12 That number was ninety percent.

13 The survey also found that motorists
14 from states with decentralized testing programs are
15 more apt to be inconvenienced when attempting to
16 have their vehicles inspected than from states
17 with centralized testing programs.

18 The average wait time to get a vehicle
19 inspected in states with centralized programs is
20 twenty-two minutes versus one and a half hours in
21 decentralized programs.

22 Motorists from states with
23 decentralized testing programs are three times more
24 likely to be asked to come back another time for
25 inspection. That number was twenty-seven percent
versus ten percent.

1 Nearly one out of every three
2 motorists from states with decentralized programs
3 had to leave their car for inspection. The
4 average time the vehicle had to be left for
5 inspection was five hours.

6 Motorists from states with
7 decentralized programs were seven times more likely
8 to have to take their vehicle to another station
9 to get their vehicle inspected than motorists from
10 centralized states. That was twenty percent
11 versus three percent.

12 Also, motorists from decentralized
13 states who filed the emissions test are just as
14 likely to take their vehicle to another station or
15 garage for repairs as to have it repaired at the
16 facility where it was tested.

17 Forty-seven percent had repairs done
18 at the facility were tested while fifty-three
19 percent went to another station or garage for the
20 repairs.

21 Now this would seem to indicate that
22 motorists do not expect to fail when they go for
23 the emissions test and typically do not allow
24 enough time for the needed repairs, or that they
25 prefer to go to a different shop for required
repairs than where they had the initial test.

1 The end result is often the public
2 themselves elects to make multiple trips to
3 complete the inspection and repair function.

4 The survey showed that seventy-one
5 percent of motorists, regardless of whether they
6 are from a centralized or decentralized state,
7 favor the separation of testing and repairs.

8 Seventy-seven percent of those
9 surveyed felt that their interests were best
10 protected by the separation.

11 The survey showed that seventy-seven
12 percent of the public favored inspection of the
13 vehicle safety critical items at least once a
14 year.

15 Sixty-six percent of the public
16 favored testing of safety-critical items on
17 vehicles while conducting the emissions test,
18 provided the added fee is \$5 or less.

19 When Pennsylvania adopts the enhanced
20 emissions inspection programs required in the 1990
21 Clean Air Act Amendments, it is important to plan
22 for the tremendous increase in demand for repair
23 or replacement of sophisticated systems and
24 equipment.

25 In order to assure the success of the

1 enhanced programs, there is no doubt that more
2 emphasis has to be placed on maintenance - the M
3 side of the I/M in the future.

4 Not one ounce, not one gram of
5 pollution is eliminated by inspection alone. To
6 achieve the desired goals, vehicle repairs must be
7 made properly and effectively for the benefit of
8 air quality and consumer protection.

9 The use of high-tech inspection and
10 diagnostic procedures will help the repair industry
11 perform most cost-effective repairs because of two
12 factors: 1) better diagnostic information outlining
13 the likely causes of failures and needed repairs
14 will assist the repair industry immediately, and
15 2) the high-tech test procedure will more
16 effectively identify the super and high emitting
17 vehicles and can better distinguish between
18 marginally emitting vehicles which should pass and
19 those that should fail.

20 The repair industry has demonstrated
21 significantly better capabilities to more cost
22 effectively repair the super and high emitting
23 vehicles, while having difficulty in diagnosing and
24 repairing the marginally emitting vehicles.

25 Mechanics training programs are needed

1 today to improve the repair industry's ability to
2 perform cost-effective repairs. Improved training
3 programs will be increasingly needed in the future
4 when we turn our attention to marginally emitting
5 vehicles to increase the total emission reductions
6 obtained from I/M programs.

7 We recommend that the state undertake
8 an immediate and comprehensive training program in
9 partnership with industry to meet this urgent
10 need.

11 In summary, the benefits of adopting
12 the strongest available I/M programs are enormous.
13 The EPA estimates that a high-tech I/M program -
14 centralized or decentralized - has the potential
15 to reduce vehicle emissions by thirty percent.
16 This would achieve approximately ten percentage
17 points toward the total twenty-four percent
18 emissions reductions required by the year 2000.

19 High-tech I/M is also the most cost-
20 effective clean air strategy available. At \$500
21 per ton high-tech I/M is seven times more cost-
22 effective than tighter new car tailpipe standards,
23 and at least ten times more cost effective than
24 additional controls on stationary sources.

25 Thank you. I'd be glad to answer any

1 questions, if there are any.

2 CHAIRMAN McCALL: The survey that you
3 conducted was where?

4 MR. HUGGINS: California, Texas, New
5 York, were the decentralized states. And Maryland
6 and Wisconsin were the centralized states.

7 CHAIRMAN McCALL: And was there a
8 ratio of plus or minus on the polling?

9 MR. HUGGINS: The competency factor is
10 plus or minus three percent.

11 CHAIRMAN McCALL: Thank you.

12 Next is William Dell from Systems
13 Control Corporation.

14 MR. DELL: Hello, I'm Bill Dell. I'm
15 with Systems Control. I'm the manager of
16 Marketing and Government Relations. I have with
17 me Mr. Jim Daffner (ph) who is the Eastern Region
18 Marketing Rep. He covers the Pennsylvania area
19 for our company.

20 We're both going to have a few words
21 to say and we do appreciate the opportunity to be
22 here today and to tell you a little bit about
23 centralized I/M from the perspective of a company
24 in the business of centralized I/M.

25 There are some other companies in this

1 business that are here in the audience today. And
2 I think just about everything I say today will
3 probably apply fairly equally to the others that
4 are here. I think there are four of us all
5 together.

6 I want to show some pictures. In the
7 theory that pictures save about a thousand words,
8 I'll save you about 20,000 and show you twenty
9 pictures. We'll try to get out of here quickly.

10 But before I do that I just want to
11 make a couple of comments. The first on some of
12 the things we've heard today.

13 Concerning the Clean Air Act, it's
14 pretty clear what the Act itself says. The Act
15 says that thou shalt achieve fifteen percent
16 reduction in VOC's from your mobile source sector
17 by November of 1996. And that's in black and
18 white.

19 In regard to what the EPA must do,
20 they must give you some guidance. Congress to my
21 knowledge has never used the word guidance before,
22 so its been pretty difficult to figure out exactly
23 what they meant by that.

24 EPA is going to issue a rule and that
25 infamous rule is at this point at the White House.

1 I don't think that anybody today so far has been
2 willing to step up and say really what's in that
3 rule.

4 I spend a good deal of time in and
5 around Washington. My office is close to the
6 suburbs and to my information, and it's fairly
7 current, in the past few days, is that that rule
8 is going to require enhanced item areas to have an
9 I/M 240 which is a high-tech testing procedure.

10 That that I/M 240 testing procedure
11 must be conducted throughout the enhanced area,
12 and it can be conducted in a centralized or
13 decentralized program.

14 However, if it is conducted in a
15 decentralized approach the state is going to have
16 to have the legislative authority on the books to
17 switch to centralized within two years if EPA
18 determines that it's not being effective in a
19 decentralized approach.

20 And one other thing that's going to be
21 in the rule, the rule is also going to require
22 that the new enhanced program be testing cars by
23 July 1, 1994.

24 Therefore what's really incumbent upon
25 the Legislature here is to make sure that your

1 administrative agencies have the necessary
2 legislative authority and guidance as you may wish
3 to give them to achieve the goals outlined in the
4 Clean Air Act. And that is the fifteen percent
5 reduction by 1996 and three percent per year
6 thereafter until attainment is reached.

7 Those are really tough goals to meet.
8 If you're going to be testing cars under a new
9 enhanced program with an I/M 240 test procedure by
10 July of 1994, that really means the legislative
11 authority has to be in place now. Because no
12 matter what approach is taken it's going to take
13 some months - I think it's been testified to
14 already - probably eighteen months in order to get
15 a new program in place with the new test
16 procedure.

17 The issue that the administrative
18 agencies here in the state will be facing is how
19 is it cost-effective.

20 You can do a cost-effective approach
21 with a centralized program. It's not clear you
22 can do a cost-effective approach with a
23 decentralized program.

24 The reason is that there's an economy
25 of scale, a test volume. The emissions testing

1 equipment is going to cost between \$150,000 and
2 \$200,000 per inspection lane.

3 If that equipment is utilized in a
4 centralized high through put fashion you will be
5 able to test approximately twelve to fifteen cars
6 per hour in a lane.

7 That through put is achievable by
8 using high through test procedures that are used
9 in centralized programs around the country now.
10 It's essentially setting up an assembly line
11 production so that you can get many cars through
12 the gate and testing them in increments. So you
13 may have three cars being tested at a time. Step
14 one being set up. Step two maybe inspections.
15 Step three being checkout in an assembly line
16 fashion. And I'll show you some pictures of
17 programs that do that now.

18 But anyway I'll be glad to answer
19 questions on the rule and on the Act. And I'll
20 show you some pictures and I think Jim will try to
21 relate what I'm showing you specifically to
22 Pennsylvania.

23 CHAIRMAN McCALL: You are hearing
24 right now that EPA is going to recommend the I/M
25 240?

1 MR. DELL: They're going to require.

2 CHAIRMAN McCALL: Require?

3 MR. DELL: Yes.

4 CHAIRMAN McCALL: The provision is
5 going to be that the state has to use that?

6 MR. DELL: That's correct. Any
7 enhanced I/M areas are going to have to use an I/M
8 240 test procedure. If you elect to use it in a
9 decentralized fashion they say that's fine.
10 However, it's clear by what EPA is--

11 CHAIRMAN McCALL: We would have the
12 capability of going to centralized in two years if
13 we're not reaching attainment?

14 MR. DELL: That's true. And from a
15 cost standpoint in a decentralized facility or
16 network, what it would cost to recoup the
17 investment that decentralized facilities would
18 utilize would require an inspection fee probably
19 up in the neighborhood of \$60 a test. Those are
20 EPA's own numbers.

21 CHAIRMAN McCALL: Now the I/M 240 is a
22 loaded test meaning that the car is put on a
23 dynamometer and then taken up to speed?

24 MR. DELL: It's more than just a
25 loaded test. There are currently loaded test

1 procedures being used in this country using a Bar-
2 90 type analyzer.

3 CHAIRMAN McCALL: The Bar-90 type
4 analyzer, is that the probe in the exhaust pipe?

5 MR. DELL: That's correct. And it's
6 going to become somewhat of a piece of history.
7 The I/M 240 test requires what's called constant
8 volume sampling. So instead of taking a sample
9 with a probe out of a tailpipe, the test equipment
10 has to actually measure the entire volume of the
11 contents.

12 The volume as well as the contents
13 of what's coming out of the tailpipe in order to
14 calculate the total number of grams per mile that
15 the car is emitting. And that can only be done on
16 a driving cycle which is a more extensive
17 dynamometer than the type of loaded dynamometers
18 being used in programs today which are what's
19 called steady state. Where they provide a steady
20 load at a given speed.

21 This actually is a driving cycle that
22 simulates uphill, downhill, fifty miles an hour,
23 thirty miles an hour, etcetera.

24 CHAIRMAN McCALL: The 240?

25 MR. DELL: The 240, yes.

1 CHAIRMAN McCALL: And the 240 stands
2 for 240 seconds it runs through that program? Is
3 that why it has that name?

4 MR. DELL: Correct. That's 240
5 seconds to run through the entire driving cycle.
6 And we are having discussions with the EPA about
7 the possibility of having what's called a fast
8 past/fail procedure with the I/M 240. So that not
9 all the vehicles would go through the entire 240
10 seconds.

11 In other words if you took a vehicle
12 into the test procedure and you are able to
13 determine that it's emitting almost nothing, it's
14 squeaky clean, and there are a lot of cars out
15 there like that, you could pass it sooner than 240
16 seconds. And conversely you might find one that's
17 ridiculously dirty and we've all been behind a few
18 of those on the highway.

19 CHAIRMAN McCALL: And at that rate
20 you're saying you could do how many cars a minute
21 or how many cars an hour?

22 MR. DELL: Twelve to fifteen cars an
23 hour assuming that you could have some fast pass
24 and some fast fail procedure. And that your 240
25 second test procedure would be your pacing item in

1 one position of a multi-position testing facility.

2 CHAIRMAN McCALL: And they would just
3 move from station to station until the complete
4 test is completed?

5 MR. DELL: That's correct.

6 CHAIRMAN McCALL: And they either fail
7 or pass.

8 MR. DELL: That's correct. The
9 complete test might take ten minutes, but the fact
10 is you're entering a car into the test facility
11 every three minutes approximately.

12 CHAIRMAN McCALL: Does your
13 organization do any of that right now, the I/M 240
14 testing?

15 MR. DELL: No. Nobody does right now
16 outside of a testing lane in a production facility
17 in Hammond, Indiana, which is contracted by EPA
18 approved concept. But that lane is not set up as a
19 high through put lane. It is merely set up to
20 prove the technology and not the speed.

21 CHAIRMAN McCALL: Well we're hearing
22 the centralized systems then can offer this
23 testing at \$8.50, and the argument being that a
24 mom - I guess I shouldn't use the word mom and pop
25 but that's what they really are - a mom and pop

1 service station owner will not be able to deliver
2 at that just because of the mere fact that he
3 can't do it in the high volume or the high number
4 that you can do it in.

5 MR. DELL: That's correct.

6 CHAIRMAN McCALL: But you're saying
7 you can offer it at \$8.50?

8 MR. DELL: No. Not a I/M 240 test.
9 Currently \$8.50 is the average for current
10 centralized inspection program fees in the country
11 which are Bar-90 type. That's likely to be closer
12 to \$20 under an I/M 240 test procedure.

13 CHAIRMAN McCALL: \$20?

14 MR. DELL: Yes.

15 CHAIRMAN McCALL: On an annual or bi-
16 annual?

17 MR. DELL: Per test.

18 CHAIRMAN McCALL: Per test only. What
19 about re-testing? What if I have to come in and
20 have my car re-tested, is that going to be another
21 \$20?

22 MR. DELL: Currently I would say most
23 of the centralized programs in the country allow
24 for a free retest if you fail. And that's
25 calculated into the \$20 fee for all initial tests.

1 CHAIRMAN McCALL: So if I come in and
2 fail, go get service work, I can come back and
3 have my car retested for free?

4 MR. DELL: That's correct.

5 CHAIRMAN McCALL: Questions?

6 (No questions.)

7 MR. DELL: Okay. Allow me to show
8 you a few pictures. I think it's helpful to see
9 what a centralized testing program looks like.
10 It's helpful to visualize these things.

11 By the way, the centralized inspection
12 isn't new. I will try to do some justice to my
13 competitors who are here and point out the
14 locations of theirs as well.

15 This one is obviously systems control
16 only.

17 Currently there are centralized
18 inspection programs around the country. SC runs
19 them in these locations in Washington, South
20 Florida, Maryland, Illinois and Minnesota.

21 HTA runs them in Wisconsin,
22 Connecticut, Tennessee, Ohio.

23 In addition to that Gordon Dougherty
24 runs one in Tampa, St. Pete area. Also in Broward
25 County in South Florida. And they also have one in

1 Arizona and in Kentucky.

2 Marto Systems has one in Jacksonville,
3 Florida.

4 So there's a number of systems around
5 the country. There's a lot of expertise out there
6 in developing these programs and running them
7 right.

8 CHAIRMAN McCALL: And not one of them
9 use the I/M 240?

10 MR. DELL: Not yet. The I/M 240 is a
11 new invention by EPA and it's designed to better
12 simulate the factory test procedure in order to
13 assure that cars are properly passing and failing.

14 MR. HOLLIS: Question. Since there is
15 no I/M 240 testing being conducted now. You say
16 there's one operation in Indiana that's operated
17 by the EPA, how long would it take for the
18 industry to go on line seeing you've mentioned an
19 inspection date of 1 July, 1994, that's the inside
20 that you seem to be getting that the test has to
21 be conducted in 1 July, 1994. How long would it
22 take for the industry to have these machines
23 manufactured, computer installed? I mean we're
24 talking eighteen, nineteen months.

25 MR. DELL: That's a serious

1 consideration. It is a very serious
2 consideration.

3 The industry, those of us in this
4 industry are not standing still. We're obviously
5 very busy right now designing I/M 240 testing
6 procedures.

7 The current constant volume sampling
8 equipment that's being used in Indiana is
9 available and can be purchased by any of us in
10 this industry. And that may or may not be the way
11 all of us go.

12 All of us are looking at alternatives
13 to this equipment, but I think that I probably
14 speak pretty well for all of us in saying I think
15 any of us can be ready to go within eighteen
16 months to point of contract.

17 With land, buildings, equipment,
18 computer, computer networks, centralized computer
19 system, hiring and training all the people,
20 running the program, give us eighteen months from
21 point of contract, we'll be ready to test cars. I
22 don't hear any objections out there so I guess I'm
23 close.

24 The Florida program which is one of
25 the newest programs in the country came on line

1 not quite a year ago.

2 It's typical of a testing building.
3 It's multiple lanes. Each lane is testing cars at
4 a high through put.

5 This sign out front that they're using
6 is used to inform the public from the street of
7 how long the waiting time is. They have an idea
8 of how long they have to wait and they can choose
9 to come in or not. Of course it's always set at
10 zero so it's not a problem.

11 Here is a multi-position safety and
12 emissions inspection combination in the State of
13 Florida.

14 You have three positions in assembly
15 line fashion. The first position uses the loaded
16 mode dynamometer right here to pre-condition the
17 vehicle. This is a steady state dyna, it is not
18 what's called a transient dyna which would be
19 required by the constant volume sampler.

20 The second position there is a sturdy
21 pre-plate tester and front end alignment checks,
22 things like that. Headlights, etcetera.

23 The third position is dynamic brake
24 testing and a few other tests. A number of
25 visuals. All of this computerized.

1 There's no paper work. Hand held
2 remote data entry devices for pass fail conditions
3 that are visual. Everything else is done by the
4 computer. It's all very quick. It moves through
5 very quickly. Here the average time of each
6 inspection position
7 is about two minutes.

8 This is another view of how that looks
9 without the cars in it. That's the inside of the
10 facility.

11 We also have mobile testing systems to
12 go out and help test fleets of vehicles on-site
13 rather than have them come to us. And that's a
14 mobile dynamometer.

15 The State of Maryland program. All
16 these are Taj Mahals, all brick and block
17 buildings. Very nice facilities.

18 Once again multi-lane. High through
19 put multiple lane. This one's a single position
20 test. They're doing an emissions only test, idle
21 test, very much like is being done in Pennsylvania
22 today.

23 Every one of these facilities in
24 addition to being able test cars, there's a large
25 vehicle bay for vehicles up to 26,000.

1 We also have here a large customer
2 service area facility to deal with the public.
3 There are state representatives at each facility,
4 at each location that deal with the public from an
5 official state perspective. And those are paid
6 for out of the revenues of the inspection program.

7 Inside of the Maryland facility.
8 That's basically a gas analyzer. You've got your
9 computer system that runs it in here, probing the
10 tailpipe.

11 It looks quite a bit different when we
12 go to this new high tech facility but the concept
13 is the same.

14 All the systems are tied together with
15 central computer systems. Every one of the
16 programs that we run, and I believe this is true
17 with all competitors too, we establish a central
18 computer facility in the state. So it's all self-
19 contained. We're hiring all state people. We're
20 using all state employees and properties.

21 This particular facility is a Maryland
22 facility. Every single inspection lane is on-line
23 to a computer system so that when a test is done,
24 immediately that test information, everything about
25 that car is available all over the computer

1 network. So that your state agency can have a
2 terminal on his table or his desk. He can pull up
3 information if somebody calls in and says I have a
4 problem. He can pull up the car, pull up the test
5 and see what the results were and why.

6 We can do the same thing as a
7 contractor. If a car goes around the block, pulls
8 right back into the inspection station again, we
9 already know he's been there once and we treat him
10 appropriately. Give him a free re-test if he's
11 entitled to one.

12 Illinois program. Looks a little
13 different. Once again though the concept is the
14 same. We have a bay for testing larger vehicles
15 like school buses. This one is a metal building
16 with brick facade.

17 Central computer facility in Illinois.

18 Every vehicle that comes through the
19 test immediately and instantly gets a computer
20 printout of the entire test procedure, how it's
21 performed. What his standards are that he's
22 measured against. What his test results were.

23 In the case of safety inspections that
24 information is also on the test report given to
25 the consumer.

1 Illinois, down in the corner, there's
2 also a removable sticker that the consumer can put
3 in the windshield.

4 Most of these programs though are
5 registration enforced by the simple computer
6 facility so that a sticker is unnecessary.

7 In other words as soon as you're
8 tested your tests results are immediately down
9 loaded in the State DMV, Motor Vehicle system. So
10 if a person goes in to re-register his car they
11 know whether or not they passed the test.

12 Minnesota facility. You have eleven
13 stations, forty-six lanes. Brick and block type
14 building once again. They must have read the
15 Florida RP. It looks familiar, the sign out front
16 with the waiting time.

17 In addition what we did here in
18 Minnesota, this is something new and somewhat
19 unique, we have essentially a garage bay also in
20 every facility, and that is for the state to
21 conduct waiver inspections.

22 If a driver does fail a test, he does
23 do what he can to repair it, he meets the waiver
24 cost limits, he still has to have a okay from the
25 state saying that he hasn't tampered with or

1 removed the catalytic converter or tampered with
2 the other Federally controlled items on his car.

3 We provide an actual garage for the
4 state inspectors to do their job right on state.
5 That's more convenient for the public.

6 That's the inside of the Minnesota
7 facility. That gives you a pretty good idea of
8 what those things look like.

9 Just to sort of sum up, the principles
10 of a contractor operated centralized program are
11 pretty much the same wherever you go.

12 Number one, there's no cost to the
13 state. The contractor comes in, he provides
14 everything necessary to meet the requirements of
15 the Clean Air Act. All the testing equipment. He
16 buys the land. He builds the building. Hires and
17 trains all the local people. Provides the
18 management skills. The computers. The networks.
19 Everything. And all that is recouped through the
20 test fee. It usually also includes a portion for
21 the state to administer the program.

22 It uses a high technology system and
23 it is incumbent upon the contractor through the
24 contract to maintain the facility and the
25 equipment at the highest level of technology.

1 The problem with a lot of state run
2 systems in the country, probably New Jersey being
3 a good example nearby, it started off as a
4 perfectly good system. But once it's in place you
5 can never go back and get more money out of the
6 Legislature to keep it up to date. That's not the
7 case with contracting programs because it is the
8 responsibility of the contractor to stay current.

9 No conflict of interest between
10 inspection and repair. It's easy for the
11 administrative agencies to oversee because you're
12 dealing with one contractor instead of dozens or
13 hundreds or even thousands of individual garages.
14 And there's a low cost for inspection because you
15 have the economies of scale involved.

16 These programs are convenient. I
17 think Mr. Huggins from CSCV spelled out some of
18 the key compounds. I just want to reiterate some
19 of them.

20 The convenience is often legislated in
21 these programs. If it's not legislated then it's
22 done through regulation. And what is convenience?
23 It's distance to a station.

24 The State of Florida for example
25 specified that ninety percent of the vehicle

1 population had to be within an average of ten
2 miles of a station. And a hundred percent within
3 fifteen.

4 Maryland was eighty-five percent and
5 twelve. A hundred percent and twenty.

6 Those are written right into the
7 contract and therefore are written into the RP so
8 that those of us in the business of bidding on
9 these things will design a network to meet these
10 requirements that you demand.

11 Waiting time. Usually specified also
12 either in legislation or regulation. In most
13 centralized programs it's specified as no more
14 than fifteen minutes wait time is allowed for more
15 than five days a month.

16 Inspection time. High through put
17 insures the quickest possible through put and
18 that's very much related to waiting time.

19 Inspection on demand. No one should
20 ever have to make an appointment for inspection.
21 That's part of the contract. And you get a
22 constant quality test which is performed the same
23 way by the same computer system, by the same
24 contractor every time for every vehicle.

25 That's the idea. That's what the

1 centralized program is about and that's kind of
2 what they look like. They're good. They're fast,
3 clean and efficient. And they serve the public in
4 the most convenient and effective manner possible.
5 They're the most cost-effective you can get.

6 To do that same sort of thing on I/M
7 240 test in a decentralized network it's going to
8 cost \$60 or more per test.

9 The State of California right now
10 which is the only decentralized program in the
11 country that does not legislatively cap their fee
12 for Bar-90 inspections are already paying a test
13 per car on an average. And that's not the new CBS
14 system, not the new I/M 240 system.

15 So clearly the cost for doing I/M 240
16 testing in a decentralized program is going to be
17 much higher than the centralized program.

18 With that I'll give it to Jim.

19 MR. DAFFNER: Mr. Chairman, what I'd
20 like to do if I can, is take the information that
21 Bill has given you, and I too have pictures and
22 will be merciful brief, and try to tie them back
23 to Pennsylvania. What does it mean to
24 Pennsylvania? And explain a few of the things
25 that I've heard going through.

1 One, the ozone transport region. Why
2 an ozone transport region? This represents the
3 areas that the EPA has determined that require an
4 enhanced inspection. You can see the corridor
5 runs in the northeast.

6 The EPA has said that we have to meet
7 a fifteen percent reduction in our VOC's. And
8 that you as legislators to the state can earn
9 credits towards that.

10 What do you mean by credit? It's a
11 question that I think you had and if I can go into
12 a little bit of detail about that.

13 The EPA has broken up basically into
14 three areas. The emissions. They break them up
15 into mobile emissions, those emissions that emanate
16 from automobiles.

17 From area emissions. Bakeries would
18 fall into that, if you will. And from point
19 sources where you can actually point to a smoke
20 stack and say that's emitting X number of tons.

21 I took the liberty of calling Region
22 III EPA and asked them for those figures for the
23 Pennsylvania area to give you an idea where
24 Pennsylvania stands.

25 Southeastern Pennsylvania the five

1 county area, we've heard the number fifty percent
2 of the emissions are emitted from automobiles. In
3 reality in the last survey EPA has determined that
4 it's actually sixty-four percent.

5 Let's put a real number to that.
6 Actually we're talking about 413 tons of VOC's per
7 day.

8 When you try to visualize that, what
9 is a ton of VOC's, imagine a pile of organic
10 compounds if you will about the size of a small
11 truck. 413 of those being dumped into the air
12 daily.

13 Philadelphia is of the areas surveyed
14 probably one of the finer examples. The
15 Pittsburgh greater statistical area is actually
16 sixty-nine percent mobile sources. And then the
17 Allentown area brings up the lead with seventy.

18 Now how do you earn your credits? How
19 do you earn this fifteen percent reduction? The
20 EPA has developed a model, a computer model called
21 the Mobile Model 4.1, which has listed into it
22 several components. In essence you're presented
23 with a menu, is this a centralized program or
24 decentralized? Do you tamper check? Do you not?
25 Do you safety check? Do you not? What areas are

1 covered?

2 You input all this information. The
3 information that you get back out is a tonnage
4 figure in reduction.

5 If you implement all these items you
6 will see this many tons reduced. You take that
7 number, compare it to these and then you see if
8 you have your fifteen percent.

9 The EPA, and we've seen this before,
10 has determined through this model that the high
11 option, which is the I/M 240 with a purge and
12 pressure check, will reap us a thirty percent
13 reduction. In tons what does that mean, a thirty
14 percent reduction?

15 I took Philadelphia's figures only
16 because they were the lowest of the three that we
17 joined. What we're looking for the impact of the
18 high option on Philadelphia's VOC's emissions is
19 this portion right here.

20 In essence you're looking at a thirty
21 percent reduction of that sixty-four percent of
22 the pot, which translates out to the difference
23 between 413 tons of emissions a day versus 289
24 tons, or an overall reduction using just the I/M
25 portion of it, the I/M 240 portion of it, a

1 reduction of 19.2 percent.

2 That's what a high option centralized
3 program could mean in the terms of credit if you
4 will to the program. You have to meet fifteen
5 percent.

6 The I/M 240 high option in a
7 centralized fashion can provide you with 19.2
8 percent.

9 It's also interesting to note in that
10 same model the EPA has weighted the difference
11 between centralized and decentralized format.

12 The decentralized format will earn you
13 forty-five percent less credits than the
14 centralized fashion. In other words if you choose
15 to go to a decentralized fashion even using I/M
16 240, you still have to find forty-five percent of
17 the emissions from other sources. From those
18 bakeries. From the plastics companies. Auto
19 paint stores. Small businesses that make up over
20 fifty percent of our business today.

21 I'd like to emphasize the cost-
22 effectiveness of the program. Once again you've
23 seen these before, they were presented by the
24 Secretary of PennDOT. We're looking at a \$500 per
25 ton cost as compared to \$3000 before.

1 A centralized program in Pennsylvania
2 would mean new jobs. New capital investment from
3 a private source brought in the state. It would
4 mean additional business for Pennsylvania
5 contractors. For Pennsylvania architects. It would
6 mean jobs for Pennsylvania residents.

7 And because we're a private entity we
8 are a taxable entity and it would mean additional
9 taxable revenue for Pennsylvania.

10 I'd be glad to answer any questions I
11 can.

12 CHAIRMAN McCALL: How difficult is it
13 to get these facilities sited with local
14 ordinances, building permits, building codes, that
15 type of thing?

16 Do you find it difficult to get these
17 facilities built because of that?

18 MR. DELL: It can be a challenge. I
19 think that, you know, the successful ways we've
20 employed before is to sort of work it in reverse.
21 We start by going to-- Once we have a contract,
22 actually before a contract, we'll often begin this
23 process in the proposal writing stage, we'll meet
24 with the agencies in charge of the program, as
25 well as with the Zoning Commission, etcetera, and

1 tell them what we need to do. And we will
2 identify certain zoning classifications that would
3 be allowable.

4 It's certainly much easier to site a
5 facility if you don't have to go through a zoning
6 process or a re-zoning process. So we try to
7 avoid those problems up front.

8 Clearly any time you get into a zoning
9 problem it's going to stretch out your
10 implementation time.

11 Permitting, that depends on locality.

12 CHAIRMAN McCALL: It has to be a
13 concern with the deadline that we're up against
14 that, you know, if siting becomes an issue then
15 the centralized issue becomes a problem also.

16 MR. DELL: That's a very good point.
17 In all of our experience in putting up these kinds
18 of programs around the country, we would be very
19 comfortable if we had about eighteen months time
20 to handle all the problems, get the buildings up
21 and be testing cars.

22 CHAIRMAN McCALL: And you're looking
23 at somewhere in the vicinity I guess if you figure
24 you have five days with the I/M 240, somewhere
25 around a million dollars a facility, a million

1 plus?

2 MR. DELL: That's correct. It's a
3 sizeable investment, yes.

4 CHAIRMAN McCALL: Plus you have to
5 have how many employees per, just out of
6 curiosity?

7 MR. DELL: At the risk of giving away
8 any competitive advantage, somewhere between three
9 and five per lane to do the job in a high through
10 put fashion.

11 CHAIRMAN McCALL: Have you been
12 looking at Pennsylvania as far as with what EPA or
13 the Department of Environmental Resources has come
14 out with the newly identified counties?

15 What would you be looking at as far as
16 the number of systems if there would be a move
17 toward a centralized system?

18 MR. TAFFEY: Let me answer that, of
19 course again at the risk of giving proprietary
20 information away. We are looking at Pennsylvania.
21 Initially we would take a first brush at the state
22 based on demographics as simple as automobiles
23 registered by zip codes.

24 We would go from there perhaps to
25 overlay that with census information, such that we

1 could determine there might be a higher
2 concentration in one particular part of town
3 versus that zip code that would require perhaps
4 another lane.

5 So again, tieing into whatever is
6 legislated as far as convenience factors, you
7 know, the amount of wait time, drive distance, we
8 then factor those into our model and develop in
9 essence a map. We can take it down to
10 intersection detail if necessary.

11 MR. DELL: The project starts off
12 scientifically and becomes more realistic, just to
13 sum it up.

14 We have a very sophisticated computer
15 model to do sitings. When you get the model run
16 you sit down with your local real estate agent and
17 the first thing he does usually is laugh, and you
18 start over again, you know, moving things around
19 to where they can fit. But we can get the job
20 done.

21 CHAIRMAN McCALL: Dick, do you have
22 any questions?

23 REPRESENTATIVE HAYDEN: No. Thank
24 you.

25 CHAIRMAN McCALL: Thank you very much.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. DELL: Thank you.

CHAIRMAN McCALL: That concludes our hearing. We thank everyone for attending and this is one of possibly three or four hearings that we will be conducting on this issue. And we appreciate the input that was received today and look forward to the input over the next couple months.

Thank you.


(At 2:50 the hearing was concluded.)

* * * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T I O N

I hereby certify that the evidence taken
by me of the within proceedings is accurately
indicated on my notes and that this is a true and
correct transcript of same.



Janice L. Glenn, Court Reporter