

TRANSCRIPT OF PROCEEDINGS

- - - -

PENNSYLVANIA HOUSE OF REPRESENTATIVES

COMMERCE COMMITTEE PUBLIC HEARING

Phipps Conservatory

700 Frank Curto Drive

Oakland, Pennsylvania

May 7, 2009

12:30 o'clock p.m.

Chairman: Representative Peter J. Daley

TRANSCRIPT OF PROCEEDINGS

Reported by: Constance Lee,

Professional Court Reporter

TRANSCRIPT OF PROCEEDINGS

- - - -

P R O C E E D I N G S

(1:00 o'clock p.m.)

1
2
3 MR. DALEY: Call this House committee
4 meeting here to order being it 1:00. I want to thank
5 Richard for his kindness. He's the executive director
6 of Phipps Conservatory. He will make the first
7 presentation. And also to Greg for your kindness, to
8 the cooking staff, the chef and gentlemen and ladies
9 in charge of the food. It's wonderful. If we could
10 all give them some applause.

11 [Applause.]

12 MR. DALEY: We just applauded you, but
13 you weren't in the room. Chef Lucy is on our staff,
14 and he gave us two thumbs up. Don't ask him for his
15 biscotti recipe because he won't tell you.

16 Our first testifier today -- I just want to
17 indicate that our host today for lunch is the
18 Pennsylvania Landscapers and Nursers Association, also
19 known as PLNA. We want to thank them for providing us
20 the food today. Wonderful food, and it was excellent.

21 Our first presenter is Richard --

22 MR. PIACENTINI: Piacentini.

23 MR. DALEY: Piacentini. Sorry. He's
24 Italian, but I'm half Italian.

25 Phipps Conservatory and Botanical Gardens,

TRANSCRIPT OF PROCEEDINGS

- - - -

1 he's the executive director. Thank you for the
2 wonderful tour.

3 MR. PIACENTINI: Thank you very much, and
4 thank you for joining us today. We're so pleased to
5 have members of the House Commerce Committee here to
6 see Phipps and learn about some of the things that
7 we're doing, and we're really excited to have you
8 here.

9 I would just like to tell you a few things
10 about Phipps and a new project we're on. First I'd
11 like to tell you, though, it's kind of exciting to
12 have you here from another point of view, too.

13 I'm not originally from Pennsylvania. I'm
14 originally from New York. And I remember when I was
15 growing up learning about how the industrial
16 revolution and how a lot of it was centered here in
17 Western Pennsylvania, and a lot of things took place
18 in the early 1900s, and this was the center of the
19 universe back then.

20 Here we are a little over 100 years later, and
21 I feel like we're back in the center again, and I'm
22 excited to be in this part of the world. I think the
23 next industrial revolution is going to take place
24 here, and it will be a green revolution. It's
25 exciting with all of the things going on in this

TRANSCRIPT OF PROCEEDINGS

- - - -

1 region.

2 I would like to tell you about where we fit in
3 as far as being green. We are known or being
4 recognized more and more by more and more people as
5 America's greenest garden.

6 I would like to tell you about some of the
7 things we are doing. I would have to go back to that
8 industrial revolution back to 1893 when Henry Phipps,
9 who was one of Andrew Carnegie's partners in the steel
10 business, gave the conservatory to the City of
11 Pittsburgh. And the City of Pittsburgh ran the
12 conservatory from 1893 through 1993 through their
13 parks department.

14 And then in 1993, they realized they could no
15 longer afford to maintain a conservatory, so they spun
16 it off to a non-profit organization, and it still runs
17 the conservatory now. It's still run by the City, but
18 it's run by a non-profit.

19 We think we have been very successful. When
20 we took over in '93, our operating budget was about
21 \$1.1 million a year, and it's now almost \$7 million a
22 year, and each and every year we have been able to
23 operate at a surplus. We operate at a slight surplus.
24 And we have been able to use those funds as matching
25 funds for state, federal foundation grants. So we put

TRANSCRIPT OF PROCEEDINGS

- - - -

1 about \$10 million back into the old conservatory.

2 We recognized early on that we reached a
3 plateau with the existing facilities, and we needed to
4 figure out new ways to improve our visitor amenities
5 and generate more revenues. We developed a master
6 plan that was divided into three phases.

7 The first was to replace the 1960's entrance
8 with a new entrance. The next phase, what we see
9 here, the production greenhouses, the new conservatory
10 rental hall, our special events facility, and the
11 third phase will be our education/research building on
12 the lower level.

13 This is the first building we took on, the
14 1960's style entrance. As you can see, we wanted to
15 create something that fit in with the rest of the
16 conservatory. We ended up putting most of the
17 building underground so only the dome shows up. So
18 it's a perfect harmony with the rest of the old 1893
19 conservatory. Here's another view of it from the
20 parking area.

21 What's really exciting about this is, when we
22 first started this project, we weren't thinking about
23 green. We didn't even know about building green.
24 Then we learned about the whole thing called the LEED
25 process, LEED building. We decided to go for a

TRANSCRIPT OF PROCEEDINGS

- - - -

1 LEED-certified visitor center.

2 When we opened it in March of 2005, we
3 actually opened the first LEED-certified building in a
4 public garden in the world. We're excited about that.

5 LEED buildings are water efficient, energy
6 efficient. They use local materials and resources.
7 They have very good indoor air quality and things like
8 that.

9 When we started the second phase, we decided
10 to try to make our buildings be energy efficient as
11 well. We put in state-of-the-art, new production
12 facilities that are very, very energy efficient.

13 And then as we started looking at the new
14 conservatory, which is the building to my right out
15 here, we decided to ask ourselves, how can we make
16 this building be more efficient? We went all the way
17 back to the 1840s when the first conservatories were
18 being built in England.

19 We learned that they built these big, glass
20 boxes with these tiny vents at the top that is
21 supposed to let hot air out. Then we looked all the
22 way up to the 1990s, and we realized that in over 160
23 years of conservatory design, not a whole heck of a
24 lot has changed. Still big glass boxes with tiny,
25 little vents at the top, very inefficient buildings.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 We decided to make our buildings more
2 efficient. We asked our engineers to start showing us
3 how air moves through the conservatory. We came up
4 with this idea of making half the roof open up. The
5 engineers told us we were crazy, you don't want to do
6 that. We said just show us what would happen anyway,
7 and they did.

8 If you look on the left, you can see a
9 traditionally designed conservatory with a high vent
10 and a low vent, and on the right one a conservatory
11 where every other glass panel on the roof opens up. I
12 know you can't see the scale in the middle, but blue
13 is 90, and red is 100. That's the difference between
14 the two. We saw this and said, wow, we're onto
15 something.

16 So we had them change the design, and we made
17 it so that every other row of the glass in the roof
18 opens up. We then designed a shading system to block
19 extra sunlight in the summer and let lots of air move
20 out in really hot days. We put in earth tubes so we
21 could use the ground to cool the air before it gets
22 into the space. We put a fogging system in to take
23 advantage of the rapid cooling.

24 By the time we finished this, we realized that
25 we had just built a conservatory or a greenhouse that

TRANSCRIPT OF PROCEEDINGS

- - - -

1 has no greenhouse effect. It really is amazing.

2 If you look at this drawing or this chart --
3 this is a typical week from last summer -- you can see
4 red is the outside air temperature, blue is inside the
5 new conservatory and yellow is the old conservatory,
6 which shows you what happens when you have the
7 greenhouse effect. It's hotter inside than it is
8 outside. Here you can see the building is cooler
9 inside than it is outside. Even though it's a high,
10 south-facing glass wall, it uses practically zero
11 energy to stay cool. It's all 100 percent passively
12 cooled. We thought, wow, we really came onto
13 something here.

14 We then started to look at, okay, what about
15 heating? Conservatories are usually single-pane glass
16 buildings, very inefficient. We figured out a way to
17 take advantage of the shape. We left the south face
18 to be single-pane to let the winter sunlight in so the
19 plants could grow well in the wintertime.

20 We were able to double insulate the roof
21 glass. We did things like we made our shading system
22 so it would function as an energy blanket. We did
23 thermal masking, and we insulated on the outside so we
24 can capture heat during the day and release it at
25 night. We put root heating in. Somebody found that

TRANSCRIPT OF PROCEEDINGS

- - - -

1 if you keep the roots of tropical plants warm in the
2 winter time, you can turn the temperature down like
3 you do at home with a setback thermostat.

4 Bottom line is the engineers estimated that by
5 the time we finished this study, if we would have
6 built this as a traditional conservatory, it would
7 cost about \$16,800 a year to heat. By doing what we
8 did, it costs \$2,400. And then with help from the
9 State of Pennsylvania through the PEDA grant, we were
10 able to get funding to put a prototype of a solid
11 oxide fuel cell in the facility which makes the
12 electricity for the building.

13 The bottom line is, by the time we finished
14 this building and opened it in December of 2006, we
15 had just created the most energy efficient
16 conservatory in the world; zero cooling costs, real
17 efficient from a heating point of view, electricity is
18 made by the fuel cell. There's not even a close
19 second anywhere in the world.

20 We're very excited about that, and we have
21 been winning all kinds of awards and recognition,
22 international, national and regional awards, written
23 up in lots of magazines. We're on the cover of
24 Eco-Structure magazine. We won first place in a
25 national competition last November. We've really

TRANSCRIPT OF PROCEEDINGS

- - - -

1 established a reputation as being America's greenest
2 garden.

3 I don't have time to tell you all about all
4 the other things that we're doing in regard to our
5 operations. There's a lot more to the story that
6 allows us to say we're America's greenest garden.

7 An interesting thing happened. You know, we
8 raised \$36.6 million to do the construction that I
9 talked to you about. And the third phase, which is
10 supposed to be the education and research
11 administration building for the lower side, that's
12 something that we thought we would have to wait a
13 couple years to do. With everyone involved in
14 fundraising projects before, you know once you've
15 raised that much money, you have to give your donors
16 and your board a rest. Because when people see you
17 coming, they start running the other way. We said, we
18 will take a couple years before we do anything else.

19 We had already been thinking about how can we
20 make our next building be efficient, and we were
21 thinking about collecting rainwater off the roof and
22 putting it in the cistern and use it as a thermal heat
23 thing for heating and cooling in the next building.

24 We thought about using a living machine to
25 treat all the sanitary water on site. We can use

TRANSCRIPT OF PROCEEDINGS

- - - -

1 plants to do that. We thought about collecting all
2 the organic waste we have on site and put it into the
3 waste digester to make methane to run the fuel cells
4 and make the electricity to run the building. These
5 were the kinds of things we were thinking about.

6 I happened to be at a green building
7 conference in Denver in November of 2006, and I was
8 talking with the guy who came up with the Energy Star
9 logo that you see with the Energy Star program. I
10 showed him this diagram, and he said to me, wow, you
11 guys are doing a living building. I said, a living
12 building? What are you talking about? He said,
13 weren't you here yesterday for Jason Calen's
14 (phonetic) keynote speech? He challenged all 12,000
15 people at the green building conference to go beyond
16 LEED platinum -- LEED platinum is the greenest that
17 you can build right now -- and build a living
18 building. That is a building that generates all of
19 its own energy from local resources and captures and
20 treats all its own water on site, in addition to a lot
21 of other things, and all these other things that you
22 would expect to see in a LEED platinum building.

23 This is what I like: "Imagine a building as
24 elegant and efficient as a flower." Wow, this kind of
25 has Phipps written all over it. I had nothing to do

TRANSCRIPT OF PROCEEDINGS

- - - -

1 with that, by the way, but we got excited about it. I
2 came back and talked to my board about the fact that
3 we wanted to build this new building down on the lower
4 site where the old public works yard is, which is
5 right below here. I told them about this challenge,
6 and they got very excited about it.

7 Then I had some foundation people come by to
8 do a site visit because I wanted them to see what they
9 invested their money in back in 2006. We hadn't even
10 opened yet. They went through, and they were really
11 impressed and amazed, and several of them made the
12 mistake of asking me, so what's next? I said, since
13 you asked...

14 So I told them about this living building
15 challenge, and they got very excited about it. They
16 said, you can't wait. You have got to do this now.
17 We started thinking about this, and we said this could
18 be really amazing. We're talking about potentially
19 building the greenest building in the world right here
20 in Pennsylvania.

21 And we said, you know, this shouldn't just be
22 about Phipps. This should be about all the great
23 things going on in this region. I went and talked to
24 the people at the Green Building Alliance, and we went
25 and talked to people at the Center For Building

TRANSCRIPT OF PROCEEDINGS

- - - -

1 Performance and Diagnostics at CMU, and we went and
2 talked to people at the Mascaro Sustainability
3 Initiative at the University of Pittsburgh, and we
4 told to them about this living building challenge and
5 we wanted to do this here in the State of
6 Pennsylvania. We said, would you guys want to be
7 involved in this? They got very excited about it and
8 said, yes, we want to be involved.

9 I'm not talking the kind of involvement where
10 you go to somebody and you say, will you write me a
11 letter of support, and they write you a letter, and
12 you never see or hear from them again. They have been
13 actively involved with the peer review of the design
14 team. We couldn't have done this project without
15 them. They're totally embedded in this project.

16 CMU has actually adopted this project as their
17 whole fifth-year design studio for their architecture
18 students. I should put Chatham University on the
19 list, because they will be helping us design the green
20 roof this summer.

21 We also said, you know, there's other great
22 talent in this region. We decided, you know, how many
23 times have you heard about somebody doing a project
24 and they think of an expert that lives 500 miles a
25 away. You have to go to New York to get an architect,

TRANSCRIPT OF PROCEEDINGS

- - - -

1 and you have to go to San Francisco to get the
2 engineer. I see this all the time with projects. I
3 said, this should be a project that is designed and
4 built by people in Pittsburgh and Pennsylvania. We
5 should showcase the great talent that we have, not
6 only in this region but in the state.

7 When we put out the request for proposals for
8 primary architects and primary engineers, we said we
9 will limit it to primary architects and engineers have
10 to come from Pittsburgh. If you're not from
11 Pittsburgh, you can't even apply. We will give
12 special consideration to anybody that puts together a
13 team that is mostly from Pittsburgh and Pennsylvania.

14 We're really excited about it. This is
15 top-notch people that are going to help us build the
16 greenest building in the world, and they're truly
17 going to be able to say, this building was designed
18 and built by people in Pittsburgh and Pennsylvania.

19 Just to show you some drawings of some of the
20 things to think about. How do we integrate all of
21 these things related to energy and water? The
22 building will sit on the lower site right below the
23 tropical forest right here, the terrace, you will go
24 onto the roof of that building. It will be a green
25 roof. And a two-story building that goes down to the

TRANSCRIPT OF PROCEEDINGS

- - - -

1 lower level. We put our floatable tanks on this
2 building right here (indicating). I know you were at
3 Solar Power Industries this morning. That's one of
4 the companies that we are talking to as one of the
5 products I would like to use here. This will all be
6 gardens down here (indicating). Some of the things
7 we're looking at doing is using high-performance glass
8 maximizing daylight so we don't have to turn on the
9 lights during the day. We're looking at geothermal
10 natural ventilation using desiccant wheels so we don't
11 have to turn the air conditioning on, take the
12 humidity out of the air without having to run the AC.
13 Photovoltaic. This is a robust building envelope.

14 And then with water, we're looking at doing
15 things like using porous pavement to capture rainwater
16 and using bio-retention rain guards also to capture
17 water and keeping it out of the sewer systems. We're
18 using constructed wetlands to treat the sanitary waste
19 for the site, not only for this building but for the
20 entire campus where all the toilets and water will all
21 go through this constructed wetland so it will be
22 clean, but it's put back into the ground.

23 We're looking at a vegetated green roof, a
24 lagoon for capturing rainwater on the site that we can
25 use for irrigation, and also looking at things like

TRANSCRIPT OF PROCEEDINGS

- - - -

1 subsurface treatment and capture it off the streets as
2 well.

3 We're also looking at linking the upper site
4 to the lower site. Capturing rainwater off these
5 roofs to use it to flush the toilets and actually
6 purifying it to for drinking water. We will be
7 focusing on native plants and showcasing a lot of
8 different habitats that you see in all of Western
9 Pennsylvania.

10 Here's a view looking from down below. The
11 first floor will be the classroom for school programs
12 and our research department and education, and the
13 second floor will be the rest of our administrative
14 offices. Here's another view looking around the site
15 as we go around. And you can see from the upper
16 terrace.

17 We also will be developing beautiful
18 landscapes. I like to tell people what's the sense of
19 building the greenest building in the world if no one
20 sees it? We will create this beautiful experience.
21 All 250,000 people that come through Phipps each year,
22 we want them to go down and experience this building
23 and learn about sustainability and about all the great
24 energy things and water things we have done in the
25 building.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 We have gotten a lot of excitement from people
2 on the project. It's a brownfield site. Our
3 university friends are excited to be involved with
4 this project. If they can say they helped build the
5 greenest building in the world, it will help them in
6 recruiting faculty and students.

7 We are talking about developing joint research
8 programs with CMU, University of Pittsburgh, Chatham.
9 National Energy and Technology Lab, I know they'll be
10 talking to you later on. They just joined the project
11 two weeks ago. They're interested in being involved
12 in this as well, primarily from an ongoing monitoring
13 point of view.

14 If somebody would build a green building and
15 they walk away, nobody knows if they work or not. We
16 use ours for ongoing testing and monitoring to see if
17 they actually work and how can they make them better.
18 The NETL is involved in it, and Green Building
19 Alliance and Penn State.

20 I know our friends at Green Building Alliance
21 are trying to attract green manufacturing jobs in this
22 region. I know all of us are interested in seeing
23 green manufacturing jobs come to the state. Isn't it
24 great to say, hey, come to Pennsylvania, we have a
25 building that was designed and built in this state.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 They would be crazy to go to any other place. So it
2 really fits in with Pittsburgh and Pennsylvania's
3 leadership with green buildings and renewable energy.

4 Some of the other things we're looking at is
5 we're trying to focus on new and emerging
6 technologies. We're interested in working with local
7 products. I know that Pittsburgh Technology Council
8 has been helpful in helping us to identify local
9 companies involved in this project. Some of the
10 things that we have done, the glass in this particular
11 building, this is PPG's Solar Band X 70, the most
12 energy efficient glass in the world. This is the
13 first commercial installation of the glass. We want
14 to get their products in this building. We're very
15 successful in getting national attention for the work
16 that we do here, particularly related to green
17 buildings, and we would like to also help focus on
18 some of the companies in this region that are involved
19 in the project as well.

20 We also insisted on having replicable
21 solutions. We want people who see this building to
22 say, hey, I can do it, too. We're doing a building
23 that other people can emulate, and we're also
24 following something called the integrated design
25 process, which is a new way of designing buildings.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 We have Penn State's PBS station is filming all of our
2 sherets (phonetic) because we want to turn it into a
3 training video for architects to do integrated design.
4 Penn State wants to turn it into a TV program for
5 national distribution on how to build green
6 performance buildings.

7 I mentioned working with these various
8 partners. We want to focus on landscaping for green
9 buildings. We have great talent in this region.
10 We're talking about how to make buildings green, but
11 nobody has figured out how to integrate them with the
12 landscape. We feel they can play a major role in that
13 area.

14 That's an area where we think there will be
15 significant job growth here at Phipps and significant
16 job growth as a partner with these other organizations
17 and agencies for grant money and research projects for
18 the future.

19 We're pretty excited about it. It will be
20 called the Center For Sustainable Landscapes. We are
21 a little over halfway with our fund-raising. We're
22 trying to raise \$20 million for the project, and we
23 have a little over \$10 million. We will try to line
24 up the rest of the money quickly.

25 You've heard of those shovel-ready projects.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 We have a shovel-ready project. We are --
2 construction documents will be finished on July 10th.
3 If we have the money, we want to be able to put it out
4 immediately and have this building open a year from
5 September or October in October of 2010. So we're
6 pretty excited, and it will be the greenest building
7 in the world.

8 If you would like to learn more about it, I
9 would be more than happy to tell you about it.
10 There's some people in the audience from local
11 companies that would like to figure out ways to help.

12 I'm happy to answer any questions.

13 MR. DALEY: Any questions?

14 MR. COSTA: Thank you. Richard, great
15 job.

16 MR. PIACENTINI: Thank you.

17 MR. COSTA: I remember when you guys did
18 the piping and were telling us about the vents and
19 everything. I'm glad to see that it came out, and
20 it's working properly.

21 MR. PIACENTINI: Thank you for your
22 support.

23 MR. COSTA: I have one complaint, though.
24 When I come over the Boulevard of the Allies Bridge, I
25 got used to seeing that beautiful chandelier that went

TRANSCRIPT OF PROCEEDINGS

- - - -

1 up in lights. The Chihuly.

2 MR. PIACENTINI: You mean the neon?

3 MR. COSTA: I know you can't afford that.
4 I'm sure it was very expensive. When you looked over,
5 it actually drew attention to the facility. I liked
6 that. I was hoping you would do something else like
7 it. I know Chihuly is way too --

8 MR. PIACENTINI: Maybe we can find a
9 local artist. I have heard that from a lot people.
10 We have another glass exhibit that's opening here on
11 May 20th. It won't have that particular effect, but
12 we will have a giant glass sculpture that will be lit.
13 It would be great to get something like that. Maybe
14 we could use LEDs.

15 MR. COSTA: My members and colleagues,
16 Chihuly is a person who is world renowned in blowing
17 glass, and the Phipps was fortunate enough to get him.
18 It is normally a five- or six-year wait list. He
19 bumped their list because they opened up the whole
20 conservatory to him. Some of them looked like plants.
21 Unfortunately, it's gone now.

22 How many people actually came through?

23 MR. PIACENTINI: Over 400,000 came to
24 see --

25 MR. COSTA: That was 400,000 additional

TRANSCRIPT OF PROCEEDINGS

- - - -

1 people?

2 MR. PIACENTINI: No. We normally did
3 about 200,000 a year. We doubled. We settled back
4 down to over 250,000. I think we did do about 250
5 this year.

6 MR. COSTA: We got tourists. They had a
7 meeting in Philadelphia, and they actually came to
8 Pittsburgh to see it, and he e-mailed me back and said
9 he was so happy that he came. It was a great tourist
10 attraction for us.

11 MR. PIACENTINI: We had people from 50
12 different countries come to see it.

13 MR. KUKOVICH: You still have the Chihuly
14 in the main entrance. It's the big yellow --

15 MR. PIACENTINI: We have eight
16 installations throughout the conservatory.

17 MR. DALEY: We saw something, we didn't
18 go by it.

19 MR. PIACENTINI: You saw some of those
20 mock plants that he did.

21 MR. DALEY: They did look like plants,
22 and it was his design.

23 Any other questions? Richard, thank you very,
24 very much.

25 It's a pleasure and honor to be here and hear

TRANSCRIPT OF PROCEEDINGS

- - - -

1 what you have to say and your wonderful presentation.

2 I want to thank you for taking the time.

3 Any other --

4 MR. PIACENTINI: I just want to thank you
5 all for your support. I know you have all been very
6 helpful in getting money to us in the past, and we
7 appreciate the support for the projects and things
8 that we're doing.

9 MR. DALEY: The Allegheny County
10 delegation works diligently to make sure that happens.
11 We're all part of the same region, Western
12 Pennsylvania.

13 Representative Longietti is a little bit north
14 of us, and Marshall is to the west of us, and I'm to
15 the south. We have you surrounded. You take Allen
16 Kukovich, and he used to be to the east of you. We
17 all want to work with you because it's really a
18 regional asset. Thank you very much.

19 MR. PIACENTINI: Thank you.

20 MR. DALEY: Before we go to our next
21 testifier, we have a young lady who will open up her
22 system for WDUQ, and I'm sure that everybody listens
23 to the jazz on WDUQ.

24 Doug, we'll be with you in about five seconds.
25 Before we start with Mr. Farnham's

TRANSCRIPT OF PROCEEDINGS

- - - -

1 presentation, I would like to go around the table and
2 introduce those that are here and as part of the
3 public record, I would like to start off with Senator
4 Representative Governor's Aide to camp, never be able
5 to put a medal on him. I know for a fact he's the
6 father of a CHIP program, not only in Pennsylvania but
7 throughout the country, because I stood shoulder to
8 shoulder with him when we got that passed.
9 Representative Allen Kukovich.

10 MR. KUKOVICH: Thanks, Pete. I think
11 that's a fine enough introduction.

12 MR. COSTA: Former landlord.

13 MR. LUCY: Ronald Lucy, I'm with
14 Representative Daley's staff.

15 MS. ALTLAND: Sandy Altland, with
16 Representative Daley's staff.

17 MR. MARSHALL: Representative Marshall.

18 MR. COSTA: Representative Paul Costa in
19 a small portion of the City of Pittsburgh.

20 MR. CALLEN: I'm Dave Callen, executive
21 director of the House of Commerce Committee.

22 MR. LONGIETTI: Representative Longietti,
23 Southern District Mercer County.

24 MR. HAYNES: Malcolm Haynes, I'm here
25 representing Representative Thomas.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 MS. ZEIDERS: I'm Destiny Zeiders with
2 Representative Daley.

3 MR. CARLSON: Carl Carlson, I'll be
4 presenting later.

5 MR. DALEY: Carl is two down the list.

6 Ladies and gentlemen, Doug Farnham is a friend
7 of mine and the president and chief executive officer
8 of PFBC, Environmental Energies Technologies, Inc.

9 MR. FARNHAM: I wanted to go first
10 because that was a tough act to follow with Rich
11 there.

12 I started with powering America because that's
13 exactly what we're doing, working on a test program
14 where we're taking coal and utilizing it user
15 friendly. It does create CO2, but I think this is one
16 of the few atmospheres where CO2 will be welcome is in
17 Phipps Conservatory. We want to go through it piece
18 by piece and show you our program.

19 When people are looking at America and power
20 in America, it's important to recognize how important
21 it is when you have alternative methods for power that
22 we don't replace a power source that we need without
23 something to replace it. That's what I'm here today
24 to discuss is coal power.

25 If you look at the world's resources, you can

TRANSCRIPT OF PROCEEDINGS

- - - -

1 see it's quite abundant in the United States coal, and
2 almost half the states produce coal in the United
3 States. Pennsylvania, you will note, has a good
4 reserve, and Texas. I will get to those. If you look
5 where these regions are where coal is, it's some of
6 the most economic regions for power production in the
7 United States, as I just pointed out. Unfortunately,
8 Texas is heavily relying on gas, and they've had to do
9 that for a long time. And gas went higher, right now
10 it's not as high.

11 Pennsylvania exports quite a bit of its power
12 and therefore gets the most penalties because for lack
13 of development. We actually have to compete with the
14 New Jersey and New York power grid, so Pennsylvania is
15 a little penalized with its coal power that we have.

16 Energy demand. No matter what anybody likes
17 to think, energy demand is going to increase. People
18 like their energy. Conservation is great, but demand
19 is greater.

20 United States is projected by 2030 to have a
21 24 percent increase in power. The world is expected
22 to have a 55 percent increase in power. There are 2
23 billion people in the world today that do not have
24 power that want it. Our power prices will not
25 stabilize. They will go up. We need more resources

TRANSCRIPT OF PROCEEDINGS

- - - -

1 to generate power in the United States.

2 Domestic energy forecast. More utilization of
3 coal. I don't think anybody's picked up a newspaper
4 or read an article lately that doesn't say that coal
5 is bad and CO2 is bad. We will have to find out how
6 to make it good and use this natural resource that we
7 have. We will we be importing more of it. We will
8 have to use it more wisely. We're anticipating that
9 the growth for today is going to go over 55 percent by
10 2030. We're going to have a substantial growth of
11 coal utilization in the United States.

12 What's been happening. Well, actually
13 nothing. Everyone's talking. The last ten years no
14 one's developed any sustainable power. No 24/7 power
15 has been developed in the United States. We all talk
16 about it. So the projection is we will all run into
17 trouble here very shortly if we don't get a resolution
18 and move forward with sustainable power in the United
19 States. We are looking at what can we do in
20 Pennsylvania to help get this legislation passed and
21 do more clean power.

22 One option, of course, we can look at is wind.
23 You can see the plains have adequate wind. You can
24 see the coastal regions have adequate wind. If you
25 look at Pennsylvania, we have below marginal in our

TRANSCRIPT OF PROCEEDINGS

- - - -

1 wind resources. Pennsylvania has very little domestic
2 wind industry to offset some of our power. We can
3 look at solar. There's a solar resource map.
4 Pennsylvania has about one-third of the power
5 generated from solar that you can get in Phoenix.
6 There's lots of things that you can do in buildings.
7 Pennsylvania has a real tough time generating solar
8 power to put on the grid for power supply.

9 So what do we have? We have a lot of gas and
10 oil and coal. One-third of Pennsylvania is covered
11 with coal. Western Pennsylvania people know that and
12 the eastern Pennsylvania people think that it was
13 mined out 200 years ago. We still produce about 70
14 million tons of coal a year while the United States
15 produces about 1.1 billion tons.

16 The interesting fact is that coal has been
17 mined in Pennsylvania for about 250 years. And in
18 1918, Pennsylvania mined 278 million tons, almost by
19 hand, in the region that powered the whole nation. So
20 coal power has always been around and has always been
21 important, but today it's producing CO2, and it's a
22 problem.

23 If you look at this chart, this is a chart
24 from the national energy testing labs. 6.8 percent of
25 the world's CO2 produced by man is created by U.S.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 coal utilization. We have about 1,470 coal-fired
2 plants in the United States. They produce about 50
3 percent of the energy for the United States. So what
4 can we do about that?

5 Well, most people believe that human activity
6 is the greatest source of greenhouse gas. The facts,
7 the emissions are significantly smaller than national
8 emissions. Burning a fossil fuel is representative of
9 about 3.27 percent of the carbon dioxide that enters
10 the atmosphere each year, while the biosphere and
11 oceans account for 55.28 percent and 41.46 percent
12 respectively.

13 Of the 3.27 percent of CO₂, 6.8 percent is
14 U.S. coal fired. Basically 2.2 percent is of the CO₂
15 each year is caused by U.S. coal power production.

16 If we could increase the efficiency of our
17 coal-fired power plants from 30 percent to 50 percent,
18 we could use -- we will produce half the CO₂. We
19 could be down to .1 percent without capturing any CO₂
20 whatsoever.

21 This is an average of this chart. It gives
22 you an idea. The United States has the oldest power
23 fleet, power plant fleet and, therefore, the oldest
24 technology. Most of these people remember a slide
25 rule, not everyone, but our power plants are basically

TRANSCRIPT OF PROCEEDINGS

- - - -

1 running on the same technology. This is America, with
2 our high-tech everything. Our power industry is
3 1960s.

4 So our efficiency is very low, comparable to
5 India, and India has brown, dirty coal. That's why
6 their efficiency is bad. Honestly, China is building
7 more efficient plants and creating less CO2.

8 Look to the left and to the right on this
9 chart, you can see a U.S. plant right now is about
10 1,200 grams of CO2 per kilowatt hour. If we had high
11 efficiency plants, it would be around 600. Nobody
12 wants to build coal plants, but we need to build
13 high-efficiency coal plants. If we could get our
14 high-efficiency plants, the high-efficiency plants,
15 half of the coal plants could be closed. We could be
16 generating the same power with 700 plants and using
17 half the coal we are using than today, if we had
18 higher efficiency plants.

19 This is a summary on the U.S. power
20 generation. It's a critical juncture with a lot of
21 social pressures, and pending legislation demands
22 massive changes. Competing demands for energy
23 security and climate change mitigation appear
24 incongruent. They do not agree with each other.

25 The U.S. must foster new processes that

TRANSCRIPT OF PROCEEDINGS

- - - -

1 address conflicting energy objectives simultaneous.
2 Coal-based processes combined with biomass and carbon
3 sequestration, CCS, will offer surprising advantages
4 over alternatives. This is why I'm here today to
5 discuss real possibilities right here in Pennsylvania.

6 Pressurized, fluidized bed combined cycles is
7 the cleanest, most efficient, solid fuel flexible,
8 commercially viable, carbon-based power plants on the
9 earth.

10 Some examples, Stockholm, Sweden, plant's been
11 operating there for 15 years. Karita, Japan, plant,
12 built in the late '90s, 43 percent efficient. Notice
13 both of these are at harbors with two very, very
14 environmentally sound countries. The Karita, Japan,
15 plant is operating at 43 percent efficiency. It's
16 almost 50 percent more efficient than the average
17 fleet in the United States.

18 Escatron, Spain, was a waste carbon
19 demonstration project that was done. And the Cottbus
20 plant which utilized wet waste coal particles as fuel
21 built on the communist side of Germany. Perfect
22 example of the plants that we want to copy in the
23 United States.

24 This is a coal receiving and storage area for
25 the Cottbus plant. After five years of operation --

TRANSCRIPT OF PROCEEDINGS

- - - -

1 most people believe that coal-fired plants are dirty,
2 but they don't have to be. This coal is delivered by
3 pressurized tank cars, and you can white glove this
4 facility, not a spec of coal to be found by anyone.
5 As a matter of fact, they had tore down an existing
6 plant that was quite a polluter. And there was some
7 arguments about building this plant. They had been
8 running for six months when they had a big protest of
9 not wanting to start up. There was no pollution
10 whatsoever. No one even knew it was operating.

11 MR. DALEY: Can I interject for a second?

12 We see a picture of storage containers on
13 railroad cars.

14 MR. FARNHAM: Yes.

15 MR. DALEY: Is that fluidized?

16 MR. FARNHAM: It's just compressed
17 storage. They compress -- it's so wet that it could
18 actually combust. That's why it's under pressure.
19 It's almost like wet wood. This technology that we
20 have can use biomass, and that's one of the things
21 that we're focused on. We will talk about that a
22 little later.

23 Anyway, this technology integrates gas turbine
24 combined cycle; fluidized bed with low temperature
25 oxidation; fluidized bed with low velocity and deep

TRANSCRIPT OF PROCEEDINGS

- - - -

1 bubbling beds; twin spool, intercooled, variable-speed
2 PFBC gas turbine; pressurized cycle; fabric filter and
3 an independent steam cycle.

4 Coal and sorbent are mixed, injected into the
5 concrete base into the boiler. The boiler is in a
6 pressurized atmosphere, about 170, 180 psi. The
7 exhaust gas is collected in an exhaust gas turbine
8 assembly. A lot of people call that thermal
9 pollution, and we use thermal pollution and create
10 energy with it. So it doesn't matter that the product
11 going in is wet to make steam. We capture the exhaust
12 steam and turn it into usable energy. We get about 20
13 percent more energy efficiency by doing that.

14 It's world-class, high net plant cycle
15 efficiency; lower fuel consumption, lower greenhouse
16 gas emission, acceptance of wet fuels without
17 sacrificing efficiency. Our western coals have an air
18 moisture of about 30 percent. It's like putting water
19 into fire. If you put it in a standard boiler, it
20 doesn't burn too well, and it turns into steam and
21 goes out the exhaust system.

22 In our boiler, it burns. We catch the steam
23 and turn it into energy. Half our coal value lies in
24 the United States as western coal. We can increase
25 the efficiency of those plants 15 to 20 percent easily

TRANSCRIPT OF PROCEEDINGS

- - - -

1 with this technology.

2 The coal is crushed. The sorbent, which is
3 either limestone or dolomite, is added to it. It
4 could be added dry or as a paste form. The combustion
5 air is compressed in the low-pressure module,
6 intercooled, and then compressed further in the
7 high-pressure second module and directed to the
8 pressure vessel. Inside the pressure boundary, the
9 air is preheated in the cyclone ash cooler and then
10 fed through ducts and distributed evenly over the
11 bottom of the fluidized bed. The bed of the coal is
12 actually a fluid. At about three feet a second
13 velocity in the fluid and the bed is about 12, 13 foot
14 deep.

15 The power cycle, the oxidation occurs in the
16 bed, which operates at about 1,562 degrees Fahrenheit,
17 at about three foot a second. I mentioned earlier the
18 pressure is 12 to 16 atmospheres of pressure.

19 Operating temperature is optimized for sulfur capture
20 by the calcium and magnesium-based sorbet, and exhaust
21 gas exits through two or three stages of cyclones,
22 where 90 percent of particulates are removed. In the
23 bed is where the tubes are for the steam. Actually,
24 in the boiling bed there's steam turbine tubes right
25 in the fire bed.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 After exiting the cyclones, the exhaust gas
2 proceeds to the gas turbine where it is expanded and
3 drives its generator. The exhaust then passes through
4 an economizer where the heat is recovered in the steam
5 cycle. The remaining fine particulates are captured
6 in a fabric filter before the flue gas exits the
7 stack. That's where the mercury is captured, also.

8 Interesting thing about this, you have heard
9 of some problems with ash disposal. This ash -- this
10 ash sets up as hard as concrete, has no leaching
11 characteristics whatsoever. It has the same leaching
12 characteristics as granite. All the minerals are
13 trapped in it. It could be used as aggregate. In
14 Karita, Japan, this ash actually goes directly to the
15 concrete industry. There's zero left. That's what we
16 want to demonstrate here in Pennsylvania.

17 We're hoping we can do a demonstration project
18 in Pittsburgh, right downtown, or maybe even supply
19 steam up on the top of the hill here. That's one of
20 our goals. So our ash is not a problem.

21 As I said, the ash utilization, there's
22 different ways we can utilize this ash. We can at
23 least get the cost neutral for the project. We might
24 be able to make a little profit if we align for some
25 concrete. There's lots of different utilizations for

TRANSCRIPT OF PROCEEDINGS

- - - -

1 our ash.

2 The emissions are state of the art. We don't
3 have any add-on pollution devices required so we don't
4 derate our energy efficiency of our plant.

5 Thermal NOx is not created. We stay below the
6 thermal NOx creation. If we do, we have to inject a
7 little ammonia, that will clean up all the NOx.
8 Sulfur oxides are controlled by injection of limestone
9 or dolomite. We talked about we get about 98 percent
10 efficiency, and we capture it with sulfur dioxide.

11 We modified our test facility with all of the
12 instruments that we can. Mercury emissions is one of
13 the things that we're working on. We're about 90
14 percent capture of mercury emissions.

15 This is our process test facility. The test
16 facility was purchased from Alston Power with the
17 support of Pennsylvania Energy Department, and we
18 operate this. The Department of Energy has a great
19 operation agreement. We do Consol Energy research
20 there. They're contracted to operate this facility
21 for us.

22 This facility has been in operation since
23 November '06, and we just completed our 15th
24 demonstration test on all local fuels. It's been
25 about a \$20 million program up to date.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 And in this process facility, we do full
2 screening for project -- we do essential design data.
3 We do emission control data. We check ash handling
4 utilization. We do all the information for O & M that
5 reflects the design of the project. We do the fuel
6 impact model. We do operator training, risk
7 assessment mitigation. And then we can define the
8 proposal scope for a full-scale plant depending on the
9 fuels we will be on utilizing.

10 Just to give you an idea, this is the test
11 facility itself. On the left is the fuel storage
12 area. That's where the fuel is prepped. The main
13 tower, to give you an idea, is about 60, 70 foot high.
14 It's actually a one-megawatt, non-generating
15 powerhouse with every bell and whistle of a regular
16 powerhouse.

17 I won't sit and read this to you. We do have
18 presentations that we can hand out later.

19 That's our fuel prep materials put in through
20 the scoop conveyor through the bucket elevator through
21 pressure, and it's mixed with the dolomite, and it's
22 fed in with a concrete pump. It's very simple. You
23 can pump this paste in. You can stop any time you
24 want to. You can start up a week later. It's a
25 forgiving cycle, and you can cycle it in one hour's

TRANSCRIPT OF PROCEEDINGS

- - - -

1 time, from full load to 30 percent load.

2 The Karita, Japan, plant, which I used as a
3 model, is a peaking plant in Japan. That's the only
4 coal peaking plant in the world. This can supplement
5 solar or wind plant. Your wind doesn't sustain, so
6 what will you do? You combine with coal plants, and
7 you feed biomass. And if you need more, you can put
8 coal in, and you can balance out your loads.

9 That's one of the problems when you're doing
10 power that's not 24/7, you're not really taking power
11 off the grid. We have so many reserves where our coal
12 boilers are staying hot. You're putting up windmills,
13 but then you pay the power company to keep the boiler
14 hot. We need something more effective than that.

15 When the wind is not on, you can turn the
16 boiler down. When the wind stops blowing, you can
17 instantly come back up to power. T. Boone Pickens
18 can't do that.

19 This is actually a chart from the test
20 facility, and this is right off the graphic screen.
21 This is the combustion itself. I'm not going to read
22 it to you. It's a real nice description on how simple
23 the feed is and how easy it burns. This is all the
24 temperatures and the controls we do throughout the bed
25 for this full-scale plant.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 This is the ash collection system. Real
2 simple, but we always have to monitor the balance of
3 all the ash and the products. So when we design the
4 full-scale plant, we know we have a right balance for
5 handling that plant, too. This is our control room.
6 You just saw some of the graphs and charts directly
7 from this control room.

8 This is some of the tests that have been
9 running. I find it quite interesting, because some of
10 these tests go back to the mid '90s, and Alston Power
11 ran a lot; some of these tests are ours. They were
12 way above the curve back then, because they were
13 already looking at the biomass. We have lots of tests
14 of biomass. There's your oil shale, which is pretty
15 exciting because 1,290 BTUs, but that's just about
16 dirt. You don't need many BTUs to run this facility.
17 In the same sense, we have one that's 14,000 BTUs.
18 It's very user friendly for different materials.
19 Basically, anything that you put in here that has
20 carbon in it, you can put in for energy.

21 The bonus of this coal-powered plant is, it's
22 really a waste-burning plant. It's designed to put
23 anything you put it. You could sustain this plant by
24 100 percent biomass. The hard thing in this area is
25 to get that. If you're going to do it with seasonal

TRANSCRIPT OF PROCEEDINGS

- - - -

1 biomass, it takes about 1,400 acres to grow one
2 megawatt of power. When people talk about biomass,
3 it's got to be a reasonable place that you can get all
4 of this biomass from. We know you can use some, but
5 where biomass is not available, coal is.

6 Our next implementation steps are, we were
7 strongly involved in the CO2 capture test. We're one
8 of those shovel-ready projects. We have received a
9 grant from PEDA for \$600,000. We haven't used any
10 yet. We're still saving that. When we have
11 everything designed and just about ready to go -- I
12 left out one step because we plan on going back to
13 PEDA for some more money here in a few weeks, so you
14 will see us on your doorstep again --

15 MR. DALEY: We will welcome you.

16 MR. FARNHAM: Thank you. This is the
17 application that we're going to use for CO2 capture.
18 Because we have our exhaust gas turbine to get higher
19 efficiency, the Benfield process is pressurized and
20 matches our pressure. We can actually capture CO2.
21 We believe that we will have thermal efficiency close
22 to 35 percent with CO2 capture. That will be the
23 highest rate of capture, and we will prove this this
24 fall, of any coal-fired plant with CO2 capture in the
25 world, and we will do it right here in Pennsylvania.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 And then with a little bit of luck, and we will do a
2 demonstration product here to follow it. That's our
3 goal.

4 I want to thank the Pennsylvania Energy
5 Authority and the members of the House Commerce for
6 having us here today.

7 MR. DALEY: Thank you for your
8 participation. You have presented in 15 minutes what
9 took me 25 years and 15 coal conferences to go to to
10 learn in a very quick course. What you're doing is so
11 cutting edge for everyone who is participating in
12 terms of coal.

13 Let me ask you a question. I know that the
14 Clinton foundation was interested in that CO2
15 sequestration. Have they made some overtures to you
16 still, and is that moving along?

17 MR. FARNHAM: Yes, very well. We
18 actually talked for the steam cycle up on the ceiling,
19 we would like -- the Benfield power plant up there is
20 a coal-fired plant; it's very inefficient. There's a
21 possibility that we could build a plant locally here,
22 a zero-emission coal power plant in Allegheny County
23 and take the steam for Carnegie Museums and possibly
24 right here. There's a lot of opportunities here on
25 this hill for the steam cycle.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 That increases the efficiency of the plant,
2 too. A lot of people don't recognize that when you're
3 converting coal to energy, everyone in the world is
4 bad at it. Some are just worse than others. 70
5 percent of energy in the United States is being thrown
6 away. We need to get higher efficiency. We have
7 federal legislation that makes it difficult. We need
8 some new legislation that says, if you start changing
9 some of your plant efficiency, you have to go through
10 your whole permitting. We have to change that.

11 MR. DALEY: You said about 98 percent CO2
12 sequestration?

13 MR. FARNHAM: We can get 95 percent
14 captured, and actually what we would like to see,
15 Pete, is utilization of CO2. We had a meeting this
16 morning. We believe we can take that CO2, at least
17 some of it, use some forms of usable algae and put it
18 back into fertilizer so we can use it instead of just
19 being stored.

20 But there are opportunities for gas recovery
21 and oil recovery, just not real good in Pennsylvania.
22 It might work out well for gas recovery.

23 MR. DALEY: The limestone bi-product is
24 coming out, that's inert.

25 MR. FARNHAM: It's inert. It captures

TRANSCRIPT OF PROCEEDINGS

- - - -

1 all the minerals. It doesn't leach, same as granite.
2 Because the way this technology is done with pressure,
3 it's a different chemical reaction. If you take a
4 fluidized bed plant, they're 25, 35 percent of
5 limestone for coal, this is 10 percent. You will save
6 a lot of money on the amount of limestone that you
7 use.

8 MR. DALEY: If I could, old coal plant,
9 you put the coal in, fire it up, and created the steam
10 and you had power. What you're saying now with new
11 technology, under a pressurized fluidized bed that it
12 squeezes it and gets higher efficiency out of the
13 coal, and with your limestone sorbent injectors, it
14 squirts it into the mixture as it spins; right?

15 MR. FARNHAM: That's correct. What
16 happens is you have 1,200 percent more oxygen is
17 burned. It's that simple. It's doing a better job of
18 turning it into energy.

19 MR. DALEY: Plus the bi-product is
20 better, the limestone. You said it could be used
21 for -- I know they're talking about gypsum board at
22 some time.

23 MR. FARNHAM: This is different. That's
24 soft. The gypsum board stuff is soft. This actually
25 sets up hard. You can use it for aggregate for the

TRANSCRIPT OF PROCEEDINGS

- - - -

1 concrete industry. And aggregate is getting more and
2 more expensive. That's a great thing to get for
3 nothing. I don't think we would have a problem to
4 find a plant to match it for using it as aggregate.

5 MR. DALEY: And we have limestone cores
6 around here like crazy.

7 MR. FARNHAM: Absolutely. Not going to
8 be a problem.

9 MR. LONGIETTI: I just was interested in
10 the part of your presentation at the beginning when
11 you talked about the fact that the CO2 emissions is 97
12 percent -- it sounds like they're coming from natural
13 sources and about 3 percent from burning fossil fuels.

14 MR. FARNHAM: Not a lot of people are
15 necessarily agreeing with that, but that's a statement
16 of fact, and it's footnoted at the bottom.

17 MR. LONGIETTI: Even with that percent,
18 it's still significantly contributing to the issues
19 that are being debated out here.

20 MR. FARNHAM: That's what people are
21 debating. I'm just stating the facts. The coal fired
22 amount created in the world is .22 percent by U.S.
23 coal plants. If we can get the efficiency up to 50
24 percent, it will be .1 percent. I don't know how much
25 we can affect the world climate in CO2, but that's

TRANSCRIPT OF PROCEEDINGS

- - - -

1 what we can do. It will cost some money.

2 Honestly, I think this will go the same way
3 acid rain went. It was a huge problem and the end of
4 the coal industry, and I think once we put our heads
5 together and find out there's solutions, I think it
6 will be a very easy problem to fix. It not going to
7 be as bad as everyone thinks. We are the Saudi Arabia
8 of coal. It's a natural domestic energy that we need
9 to use. We don't have to import that.

10 MR. LONGIETTI: Thank you.

11 MR. DALEY: Dave Callen.

12 MR. CALLEN: The whole process that
13 you're investigating, is it going to be something that
14 can be retrofitted onto existing baseload plants?

15 MR. FARNHAM: Actually, it's perfect.
16 Maybe you get to 2,000 megawatts; smaller plants 600
17 megawatt and down. The footprint for this boiler is
18 35-foot diameter and 120 foot high, and that's a
19 hundred megawatts. So you can go adjacent to an
20 existing plant and put these boilers and repower very
21 effectively.

22 You can also do -- have you heard of IGCC that
23 no one has been successful with? That's because
24 they're all trying to get the squeal out of the pig.
25 You have a perfect plant. That's going to evolve into

TRANSCRIPT OF PROCEEDINGS

- - - -

1 that, too. Where the gas from coal may be down to
2 5,000 BTUs, it's easy to get and makes great power.
3 Everybody is trying to use up 100 percent of the coal
4 resource. If you put some of that with the PFBC, it's
5 a perfect combination.

6 We're actually looking at the -- there's two
7 temperatures of gas fire, high temp and low temp.
8 High-temp gas fire turns it into like glass. It costs
9 more to pulverize and use the carbon in it than what
10 it's worth. We're looking to see if we can use that.
11 There's a Polk County one in Florida that might
12 actually work, and we can send that charge to PFBC,
13 and take the CO2 and send it to algae and take that
14 algae to like Plant City and use to it grow other
15 crops. It would be a hell of a cycle.

16 MR. CALLEN: To adopt something like
17 this, is it going to be -- is there going to be some
18 kind of mandate?

19 MR. FARNHAM: No, it'll just take one
20 demonstration.

21 MR. CALLEN: Is it going to be profitable
22 for them to do this?

23 MR. FARNHAM: Yes. With the cost of
24 coal --

25 MR. CALLEN: They will use less --

TRANSCRIPT OF PROCEEDINGS

- - - -

1 MR. FARNHAM: They would use less coal,
2 and it could be commercially profitable, yes.

3 MR. DALEY: Any other questions?

4 Doug, thank you for your presentation.

5 MR. FARNHAM: Thank you all very much.

6 MR. DALEY: The next testifier will be
7 Andy Hannah. Andy is president and chief executive
8 officer of Plextronics, Inc.

9 I would also like to acknowledge Chip Glamal
10 (phonetic), our Fayette County office.

11 Andy, you can begin.

12 MR. HANNAH: First of all, thank you very
13 much for asking me here today.

14 Chairman Daley, I really appreciate the
15 opportunity to tell you a little bit about Plextronics
16 here in the community, as well as a little bit about
17 how we believe that we're impacting the energy
18 technology space.

19 For those of you who don't know Plextronics,
20 let me give you a quick overview. We are a
21 seven-year-old company, so we started in 2002 as a
22 spin out of Carnegie Mellon University. The
23 technology that we're commercializing is the next
24 generation of electronic devices.

25 Right now we think that electronics permeate

TRANSCRIPT OF PROCEEDINGS

- - - -

1 our daily lives because we all carry laptops and cell
2 phones with us that have smart attributes to them, and
3 that's really driven by technology that we know as
4 silicon. Silicon is a semiconductor that powers these
5 devices. The issue is that electronics haven't
6 permeated our daily lives yet because they're not
7 embedded into everyday objects.

8 Some day you're going to go to a grocery store
9 and that product will have a package that lights up
10 because you can put electronics it. The barcode
11 that's on it will be a radio code. You never have to
12 scan. You will just put the goods in your cart, and
13 just like E-Z Pass, you will go by the cash register,
14 it will automatically know the price of everything in
15 your cart. It will fundamentally change the way that
16 we do business, because you will be able to manage
17 your inventory significantly different. You will be
18 able to change the prices of goods on the fly.

19 In order for this technology to become
20 reality, we have to make electronics so cheap and
21 process it so you can put it into these products, and
22 that's where our technology comes in.

23 We make semiconductors and conductors that are
24 made from inks. So essentially at Carnegie Mellon we
25 developed a technology that allows polymers or plastic

TRANSCRIPT OF PROCEEDINGS

- - - -

1 materials to carry a charge. That means they can be
2 semi-conductive or conductive materials. You can then
3 take that polymer, that plastic, and you can put it
4 into a solution and turn it into ink.

5 You can then take that ink and put it in a
6 traditional printer so that you can print these
7 devices onto any surface. So you can now create
8 semiconductors and conductors that can be printed onto
9 the outside of a package.

10 Depending on what type of materials you put in
11 those inks, you can run power through that device, and
12 it can give off light, or it can absorb light and turn
13 it into power. That's the idea of printed
14 electronics. And Plextronics is a global leader in
15 printed electronics. Just a little bit about the
16 background. I will get to how that relates to energy
17 in a few more minutes.

18 Our basic business model is that we make the
19 inks. So we want manufacturers all over the country,
20 all over the world to be able to print light power and
21 circuitry anywhere. So using our ink. So they have
22 to come back to us. Think about us as the Intel
23 inside. You know these commercials where every
24 laptop, if it works, if it is a good product, it has
25 Intel inside. Same way that you'll look at every

TRANSCRIPT OF PROCEEDINGS

- - - -

1 printed electronics inside, you will say that has
2 Plextronics inside.

3 We now have 70 employees, and we have raised
4 \$41 million in venture and capital. We are in the
5 process of commercializing our technology, so we have
6 just installed an \$8 million manufacturing line in
7 Harmarville where we're scaling our ink technology so
8 that we can show manufacturers that you can use our
9 inks and manufacture on a large scale.

10 We just introduced the first commercial ink
11 package that allows you the ability to print solar
12 cells. If you wanted to print solar cells like you do
13 the Pittsburgh "Post-Gazette," so roll to roll,
14 instead of having paper, let's say you have a roll to
15 roll to plastic. Instead of putting black ink on
16 there, you put our inks in and you print solar cells.

17 One of the things -- I'm also an adjunct
18 professor of entrepreneurship at Carnegie Mellon. One
19 of the things we look at is how do you create the
20 right environment for an early stage company to be
21 successful? What we have determined is that there's
22 essentially four critical components. One is that you
23 need the right technology or business opportunity.
24 Number two, you need the people. You need the
25 entrepreneur that can take the idea and turn it into

TRANSCRIPT OF PROCEEDINGS

- - - -

1 the business. Number three, you need the oxygen,
2 which is the cash. The fourth one that most people
3 don't think about, you need the right governmental and
4 business environment for that company to succeed,
5 which means that you need to have the right
6 infrastructure to build your company, that you need
7 government agencies that support you as you grow.
8 We're lucky enough to be in Pittsburgh and to take
9 advantage of the opportunities that the State, the
10 County and the Pittsburgh area has afforded to us.
11 I'll tell you a little bit about that in a minute or
12 two.

13 So let me talk to you a bit about alternative
14 energy and renewable energy. First of all, I think
15 it's really important to understand that we have a
16 changing dynamic in energy. And everybody knows that
17 we're looking to try and increase the amount of
18 renewal energies that generate power, but what people
19 often don't think about is that over the next years,
20 the amount of energy that this planet will need will
21 quadruple. That's four times the amount of energy we
22 have today we will need in 40 years.

23 People think 40 years is a long time from now.
24 40 years ago was 1970. Doesn't seem like that long
25 ago, the 1970s. So before you know it, 2050 will be

TRANSCRIPT OF PROCEEDINGS

- - - -

1 here, and how are we going to produce enough energy in
2 order to supply the needs of the world? It will
3 require a portfolio approach. A lot of people think
4 too much one energy versus another. We have to
5 realize, especially here in Pittsburgh, that it is a
6 portfolio approach so that coal will be important,
7 nuclear will be important, gas will be important, and
8 renewables like solar will be important.

9 Pittsburgh will play an important national
10 role in setting policy and driving investment in new
11 technologies, because we are the home of four of
12 the -- many of the large powerhouses in these
13 technologies. So we need to recognize that in this
14 area that we can have a significant voice in public
15 policy and in the debate that's going on in Washington
16 right now.

17 So let me talk a little bit specifically about
18 Plextronics and why it's important, why we see energy
19 as an important part of our technology.

20 Secretary of Energy Steven Chu said a couple
21 weeks ago that the objective for photo-able take solar
22 power needs to be that the products are five times
23 cheaper than they are today. Five times cheaper than
24 they are today. That means that current technology,
25 while there will always be a place for it -- again, it

TRANSCRIPT OF PROCEEDINGS

- - - -

1 is always a portfolio approach -- but mass
2 distribution of very cheap solar power has to come
3 from a technology that's different than what we use
4 today. What we believe is that is printed solar
5 cells. So making very inexpensive raw materials like
6 these plastics that we use and turn into inks and use
7 a very inexpensive manufacturing process like
8 printing. When we make a silicon-based solar cell, a
9 square meter solar cell, it can cost \$500 to make that
10 solar cell. Why? Because raw materials are
11 expensive, silicon is expensive.

12 The manufacturing methods to actually take
13 those materials and turn them into solar cells is very
14 expensive. We see the bunny suits when we look at an
15 Intel commercial. They're wearing bunny suits because
16 these environments that they're in is almost a pure
17 environment, getting the particles of dust down to
18 virtually zero.

19 So think about if you can change it to very
20 inexpensive raw materials or use printers like the
21 "Post-Gazette." So you can dramatically reduce the
22 cost. The issue for our technology, that's what we
23 do, we dramatically reduce the cost of making a solar
24 panel. What might cost you \$500 for a silicon-based
25 panel will cost you about \$50 using our technology.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 The issue is that we don't produce as much
2 energy as a silicon cell does. We are a very new
3 industry. We started our technology in the solar
4 space four years ago, thanks to a grant from PEDDA.
5 That's how we got our start in solar energy. When I
6 talked about the right environment to grow a business,
7 to have an agency like PEDDA to support the early
8 stages of our growth and the continuing growth has
9 been incredibly important to us.

10 We generate less energy than a silicon panel
11 right now. That will change. We will grow as our
12 technology will improve as we grow and as it matures,
13 but even if we're one-third or one-fourth the amount
14 of energy generation, if we're one-tenth the cost, the
15 cost per electron is cheaper. The cost becomes area.
16 If I have to use four times as much area than a
17 silicon-based cell, that becomes difficult, because
18 now you need four times -- so you can't put it on a
19 house because you need too much space. Those are the
20 issues that we're dealing with today.

21 Really, the relationship that we have with the
22 State and PEDDA has made a big difference for us
23 because we have been able to have three different
24 programs with PEDDA in order to scale off our
25 technology, not only to get it started, but to help us

TRANSCRIPT OF PROCEEDINGS

- - - -

1 pay for our first R&D line and our first manufacturing
2 line, so that partnership has been incredibly
3 important to us.

4 While our technology is not yet mature enough
5 to get on grid, so to replace a coal-fired plant right
6 now, that doesn't mean that we still don't have
7 commercial markets. So right now we're talking to
8 companies in India that would buy our panels that
9 would use them to power a light, a fan, a cell phone
10 in a remote village for each individual hut.
11 Something that might cost \$400 a panel so that they
12 can have light.

13 We just heard there's 2 billion people around
14 the world that don't have access to electricity, which
15 means they don't have access to light. There's a
16 direct correlation between light and literacy. So not
17 only would this be a great business for us to take
18 panels and sell them into India to generate light,
19 fan, power, we also can increase the literacy rate of
20 the world by bringing in our panels to different
21 regions in the world.

22 So that's a little bit about how we're
23 impacting sustainable energy. Why is this important
24 for Pennsylvania? I think some of those answers are
25 obvious. It's job creation. We have created 70 jobs

TRANSCRIPT OF PROCEEDINGS

- - - -

1 in the past few years here in Pittsburgh. Half of
2 those jobs have been created by people coming in from
3 outside the Pittsburgh area, and then half of those
4 jobs from outside the world (sic). So we -- we
5 attract the best and the brightest people from all
6 over the world here to Pittsburgh to develop this
7 technology. Obviously, those people spend money here,
8 create tax dollars.

9 But we're also becoming an exporter of energy.
10 One of the things that we like to think about in
11 Pennsylvania is how can we be a global leader in terms
12 of energy. Well, this is one way. We develop the
13 inks that will some day be the core for solar power
14 across the world. And it will be exported from right
15 here in Pittsburgh, Pennsylvania.

16 So how can Pennsylvania continue to support
17 companies like us? Well, we're already doing a lot of
18 it. A lot of the programs that we have in place to
19 develop the workforce is critical. We have a number
20 of programs. For example, in order for solar
21 technology really to be a major player, one of the
22 biggest issues is actually the installation and
23 testing of solar panels. We're taking a leading
24 effort here at CCAC in Pittsburgh and with our local
25 union in terms of teaching those people how to install

TRANSCRIPT OF PROCEEDINGS

- - - -

1 and test solar panels. That's incredibly important.

2 We're also supporting innovative technology.
3 The grant money that goes to young companies like
4 ours, not only for research but also to scale up our
5 manufacturing, has been a big support for us. So
6 there's still a lot that we can do, and one of the
7 areas is that -- this isn't directly related to
8 energy, it's transportation.

9 We have a really big issue in terms of
10 traveling internationally in this city. It's
11 something that we need to pay attention to, because
12 it's very difficult to travel. You have to take
13 multiple stops to direct airline flights, very happy
14 that we have one to Paris now. But when I send people
15 over to Germany and they have to fly back and they
16 land in Washington, D.C. on a Saturday, and they have
17 to wait five hours for a next flight to get to
18 Pittsburgh. It's not that you can't get to Frankfurt.
19 It's when you get home after a hard week of working
20 and you have to sit in D.C. for five hours after
21 working all day because there are no flights, that's
22 one of the things that we have to deal with for a
23 growing company here in Pennsylvania.

24 I would like to submit that Plextronics in
25 Pennsylvania are case studies, case studies for how

TRANSCRIPT OF PROCEEDINGS

- - - -

1 you create a new company and you utilize all those
2 four aspects I talked about; local money, talent,
3 technology and governmental support to grow a business
4 in Pennsylvania and how it can be supported by
5 governmental infrastructure to grow the company.

6 I feel privileged and lucky that we're here in
7 Pittsburgh and Pennsylvania, and I look forward to
8 continuing to help this company and others to
9 understand some of the challenges that we have to
10 overcome.

11 Thank you. I'll be happy to take any
12 questions.

13 MR. DALEY: Any questions from members of
14 the committee, staff?

15 Great job, Andy. We're real proud of what you
16 do. Five years ago we got word, and a few of us got
17 together and reinvigorated the funding for PEDDA. We
18 knew that the Energy Development Authority needed some
19 attention because the previous administration had --
20 it killed it, for all intents and purposes.

21 As the Democratic house member on the PEDDA
22 board, it's a pleasure to come out and see what we
23 have done and how it's grown and changed people's
24 lives and made Pittsburgh the crossroads of sort of
25 energy development, and I want to thank you for your

TRANSCRIPT OF PROCEEDINGS

- - - -

1 testimony today.

2 MR. HANNAH: Without PEDA, we would not
3 have had a solar program. So the success that you see
4 coming from Plextronics will be largely from the
5 stimulus that was provided by the government and by
6 PEDA. I think that's really important, and people
7 need to understand that there is a partnership that
8 happens.

9 I don't believe in government money to sustain
10 a business. I believe in stimulating and creating a
11 competitive environment where we can compete with
12 others in the world. So thank you.

13 MR. DALEY: Thank you very much.

14 Our next testifier will be Carl J. Carlson,
15 Director of Government Affairs, Range Resources -
16 Appalachia, LLC.

17 As can you see, there's a common theme so far,
18 is that some of these projects, including here at
19 Phipps, was PEDA funded, including the fuel cell that
20 you all saw upstairs, and of course with Doug Farnham,
21 PFBC Environmental Energy Technology, as well as
22 Plextronics.

23 Mr. Carlson, the show is yours as soon as you
24 boot it up.

25 MR. CARLSON: Chairman Daley, Members of

TRANSCRIPT OF PROCEEDINGS

- - - -

1 the Commerce Committee, I appreciate the opportunity
2 to talk to you today about the Marcellus Shale, one of
3 the greatest opportunities that Pennsylvania has ever
4 seen. I'm going to go through this PowerPoint pretty
5 quickly. Destiny is passing out one of the handouts,
6 both of them. I'm going to skip a few of these slides
7 just to move quickly. Excuse me.

8 I've worked for Range Resources in government
9 affairs, but my history is as a geologist in the
10 industry, and I have worked primarily in the
11 Appalachian Basin mostly in Pennsylvania for 33 years
12 as a geologist first and then in a variety of
13 operations positions.

14 A little bit about Range Resources. It's a
15 natural gas company, recently included in the S&P 500.
16 We operate nearly 5,000 conventional wells. We have
17 regional headquarters in Washington County, south of
18 Pittsburgh. Our headquarters is in Fort Worth, Texas,
19 but we have our roots in the Appalachian Basin.

20 Our company pioneered the Marcellus Shale back
21 in 2004. And we have invested almost \$1 billion in
22 Pennsylvania, about three-quarters of that in lease
23 acquisition and one-quarter in drilling. We employ
24 about 200 people in Pennsylvania directly and support
25 about 600 full-time contract jobs for the drilling and

TRANSCRIPT OF PROCEEDINGS

- - - -

1 completion services. We also -- you know, the
2 rollover effect creates several hundreds of indirect
3 jobs.

4 What is the Marcellus Shale? It is an
5 organic-rich shale that was deposited in a large
6 inland sea that ran from New York down to Kentucky,
7 and mud from the far offshore waters slowly sank to
8 the bottom and a lot of organic went with it and
9 created this organic-rich mud that got buried under
10 320,000 feet of sediment and got hot and started
11 cooking and generating gas and oil. And that's a
12 piece of the shale there in the picture. It's very
13 dense material. The pores are very microscopic in
14 size, and it's very difficult for fluid to move
15 through there.

16 This map is just a map of all the gas shale
17 basins in the U.S. I want to point out the Barnett
18 Shale in the red box at the bottom with the line
19 pointing to it. The Barnett Shale is the largest
20 gas-producing field in the country right now. There's
21 been about 10,000 horizontal wells drilled in that in
22 the last eight years. And also the Haynesville Shale
23 just to the right and the Fayetteville Shale, which
24 are in Louisiana and Arkansas respectively, and then
25 the Marcellus in Pennsylvania. Those four are the big

TRANSCRIPT OF PROCEEDINGS

- - - -

1 four shales. Between them, we probably have a
2 100-year supply of gas for the country. You can see
3 the Marcellus is by far the largest.

4 This slide shows the orange is what our
5 company feels is probably the productive fairway for
6 the Marcellus Shale, maybe 40 to 50,000 square miles.
7 The estimates of recoverable reserve are all over the
8 board from 50 to 400 trillion cubic feet. No one
9 really knows. It will take a lot more drilling to
10 nail down the estimate, and by the time thousands of
11 wells get drilled, the technology will improve, and
12 we'll be able to produce more and more. So I think
13 you will see that reserve number continue to grow.

14 The Barnett shale, the side of it, I estimated
15 there with that blue oval. It's about 5,000 square
16 miles in the core area of Barnett. This Marcellus is
17 a big opportunity.

18 This map just shows wells that have been
19 drilled in the Marcellus in the last couple years.
20 The blue dots are the drilled wells. You can see a
21 concentration in Washington County. That's our
22 company's focus area. We drilled about 120 wells over
23 there. But, really, the drilling is scattered
24 throughout the state.

25 Why natural gas? It's certainly more secure

TRANSCRIPT OF PROCEEDINGS

- - - -

1 than foreign sources of energy, very abundant. 20
2 years ago, the experts thought we had maybe a 10-year
3 supply of gas left in this country, but now people are
4 thinking 100 to 200 years. Big change. It's domestic
5 and greener than any other fossil fuel we have, and
6 we're not here to ask for any kind of subsidies.

7 There's a lot of competition in natural gas
8 markets from foreign sources. Liquefied natural gas
9 is going to start coming into our country in the near
10 future. I think last year it was about two percent of
11 the total gas supply, but a lot of foreign countries
12 are making big investments to put in liquefaction
13 facilities and build ships to transport that to the
14 U.S.

15 There's a lot of domestic competition. The
16 other three of the big four shale plays are clearly
17 competing with Pennsylvania for drilling capital. And
18 there's competition just within the Marcellus Shale
19 with the adjoining states that have the same
20 potential.

21 The Department of Energy, the Energy
22 Information Agency believes that natural gas is going
23 to meet most of the increased gas demand in this
24 country in the coming years. And they believe that
25 natural gas is going to account for over half of the

TRANSCRIPT OF PROCEEDINGS

- - - -

1 new electric generation capacity between now and 2030.

2 It's very difficult to build coal plants. I
3 think three to five years is the permitting period.
4 Nuclear, I don't think anyone knows. These gas plants
5 can be permitted and on line in about nine months.
6 They can be small plants out at the end of the grid
7 where power is needed. As far as subsidies, natural
8 gas is by far the cheapest, requires the least amount
9 of subsidies, particularly compared to the renewables.
10 Per megawatt hour, it's far lower than the wind, solar
11 and refined coal. Not that we're opposed to those.
12 Like the earlier gentleman said, we need a portfolio
13 of solutions to meet our energy needs.

14 Compared to coal and oil, gas is about 40
15 percent less CO2 emissions, 80 percent less nitrous
16 oxide and no sulfur or particulate emissions. There's
17 a great opportunity for fueling vehicles with natural
18 gas. There's 8 million NGVs worldwide, but only about
19 150,000 in the U.S., so we're way behind in that area.
20 Compressed natural gas is about \$1 cheaper a gallon on
21 an energy-equivalent basis than liquid fuels.

22 Our energy -- the oil and gas industry has
23 traditionally had a big impact in Pennsylvania, about
24 \$7 billion a year of economic impact, and it supports
25 about 26,000 jobs. This is according to a PA Economy

TRANSCRIPT OF PROCEEDINGS

- - - -

1 League study from last year.

2 The Marcellus industry has invested about \$4
3 billion in the Marcellus in the past two years, again,
4 about three-quarters of that in lease acquisition.
5 And investment this year will be down somewhat because
6 of depressed energy prices, but, you know, it will
7 still result in some increase in drilling from last
8 year.

9 I think Pittsburgh is going to become a real
10 energy headquarters and benefit from a lot of the
11 Marcellus development.

12 A lot of rural Pennsylvanians who we're
13 leasing lands from will become wealthy people. A
14 single well can generate royalties of up to \$2 million
15 per well. That money will roll over into the economy.

16 We're frequently asked what the economic
17 impact will be in Pennsylvania? It's difficult to
18 project particularly the timing, but we looked to the
19 Barnett Shale in Texas, and from 2002 to 2008, The
20 Perryman Group has done an economic study for the last
21 seven years and found that it created 132,000 new jobs
22 in Texas and currently generates about \$14 billion
23 into the economy. Those are big numbers, and those
24 are things that Pennsylvania really needs.

25 Unfortunately, this is just a slide that shows

TRANSCRIPT OF PROCEEDINGS

- - - -

1 natural gas U.S. production on top. The pink line is
2 the current natural gas rig count, which has dropped
3 55 percent since last September when it peaked at over
4 1,600 rigs. It's now at about 740. There are a lot
5 of idle rigs and a lot of people on the sidelines
6 right now.

7 This represents an opportunity for
8 Pennsylvania, because if we can draw some of that
9 equipment up here, the economics in the Marcellus
10 Shale is probably better than most of the other oil
11 and gas places in the country. We can really get a
12 jump-start, and you can see some of the equipment
13 moving up here already.

14 Natural gas prices has dropped from a high of
15 \$13 from last July -- last month closed at \$3.32. So
16 we're almost at a quarter or what we were last summer.
17 Very volatile market. It will be back. We're
18 suffering from the whole economic recession.

19 Talk briefly about the drilling process.
20 First step is, of course, is to acquire leases. We go
21 out and negotiate individual contracts with
22 landowners. They're private arrangements that usually
23 involve an upfront payment of cash to reserve the
24 right to explore and then a share -- a royalty share
25 of the production once that's established.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 A lot of geoscience goes into our work in
2 advance of drilling. We use a lot of
3 three-dimensional seismic, where we go out and put
4 shock waves into the ground and reflect -- measure the
5 reflections coming back and get a subsurface picture
6 of the rocks down there.

7 The drilling process requires larger rigs than
8 we've used in Pennsylvania historically. This is one
9 of the brand-new rigs that just showed up about a
10 month ago at one of our sites. It is -- it's called a
11 walking rig. It's the only one in Pennsylvania. And
12 it can -- we're drilling multiple wells on the same
13 pad right now, which I will show you in a minute.
14 This rig actually has feet on the four corners,
15 hydraulic feet. They can move that entire rig with
16 the mast standing and with all the drill pipe hanging
17 in mast just like it is there. They can walk 15 feet
18 away and drill another one. It saves a lot of time
19 and money in teardown and set-up.

20 This is really what it's all about with the
21 horizontal drilling that we're doing. The well on the
22 right is a vertical well, and we run steel casing all
23 the way to the bottom and then pump water and sand
24 under high pressure and create a hydraulic fracture, a
25 network of vertical fractures in the rock. From a

TRANSCRIPT OF PROCEEDINGS

- - - -

1 vertical well you can only create one set. On a
2 horizontal well on the left there, you can see that
3 you create many sets of those fractures and open up a
4 lot of surface of the rock and get commercial flows
5 out of this type of shale. That's why we do what we
6 do. We think this Marcellus will evolve into almost
7 100 percent horizontal drilling with very little -- we
8 go to all this work to drill basically an
9 eight-and-a-half-inch hole all the way to the bottom,
10 cement a string of about five-and-a-half-inch casing
11 all the way to the bottom, and that produces the gas.

12 A lot of issues. A lot of concerns about
13 water, groundwater contamination, really unfounded
14 reserves. Pennsylvania has very strict requirements
15 on how to case these wells. This is a quote from Bob
16 Watson, a well-known professor for Penn State, "The
17 simple reality is that stimulation" -- meaning the
18 hydraulic fracturing -- "does not impact groundwater
19 bearing zones." That's absolutely true. It's just
20 physically impossible.

21 The horizontal drilling, the yellow represents
22 the pad that we set up to -- and can drill -- this
23 shows six wells off the same pad. So you have a pad
24 of about three acres with one access road and one
25 pipeline, it's going to drain this area of about 500

TRANSCRIPT OF PROCEEDINGS

- - - -

1 acres.

2 If you had to do that with vertical drilling,
3 which is represented by the purple boxes, you would
4 have to drill about 24 wells to do the same thing. We
5 can do it all with one pad and temporary disturbance
6 of about two percent of the surface area. It leaves a
7 very small footprint.

8 Typical select timbering, which we have done
9 in our state forests for many years, is about eight
10 percent surface disturbance, so we're way below that.
11 Sorry.

12 Just a couple pictures of a drilling rig here
13 to give you an idea. This is during the drilling.
14 This is about a three-acre pad. With the newer rigs,
15 we will probably get that down to about two acres per
16 pad. You can see in forested areas, it doesn't leave
17 a big footprint.

18 The hydraulic fracturing, this is two
19 wellheads on the same pad that we're fracking
20 (phonetic) together. As I said, we pump water under
21 about 10,000 pounds per square inch pressure along
22 with sand to create the fracture. The sand packs back
23 into the microfractures, you flow the water back, sand
24 props the fractures open and it allows the gas to come
25 out one bubble at a time and reach the surface.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 This is a frac job from a helicopter shot. We
2 have about 25,000 horsepower of pumping equipment out
3 on the site. You know, some people think that this is
4 what's left when we're done. This is not what's left.
5 This costs about \$400,000 a day to keep that equipment
6 out there, so it's not there any longer than
7 necessary. About four days to do one of these jobs.

8 And you can see on the far left side, you see
9 that aluminum pipe going off the location. That's how
10 we bring the water onto the site during the frac job.
11 It comes from one of these freshwater impoundments
12 that we build, and it gets there through these
13 irrigation pipes. When you see these pipes, they're
14 temporary, but they are saving about 1,000 truckloads
15 of water if you had to truck the water up to the site.
16 It's great savings on the roads and inconvenience.

17 Once the frac job is done, you flow back the
18 water. You put the well into production, and the gas
19 flows through a buried pipeline to the market. The
20 footprint on the producing site is much smaller than
21 the site that you see during drilling. This is a
22 typical horizontal well site. On the right is the
23 wellhead. In the center is a small gas/fluid
24 separator, and then you have three tanks there to hold
25 the water. The water trickles out for years after.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 This is a reclaimed site. The tanks are off
2 the edge. This is a site that shows during the
3 operation and after on the same site. You can see
4 that -- even when there's a high wall cut to grade off
5 the location, that's all put back, and topsoil is
6 replaced, and it's reseeded, and you can farm right up
7 to the wellhead. It's a very small footprint.

8 We work with a lot of regulatory agencies.
9 Obviously the DEP regulates most of our activity,
10 Fish & Boat Commission, Susquehanna River Basin
11 Commission, Delaware River Basin Commission, they all
12 play a part in different areas.

13 This is the gas shale primer that I passed
14 out. This was recently published by the DOE. They
15 commissioned it. It involved the Groundwater
16 Protection Council, the National Energy Technology
17 Laboratory and ALL Consulting. It answers every
18 question that you ever had about shale drilling. It
19 addresses a lot of the issues that people have raised
20 and how they're handled safely.

21 Water is a big issue that you've read about in
22 the media, how much water these frac jobs use. It's
23 not a significant amount of water compared to other
24 uses in PA.

25 It's about \$4 million to frac a well. If we

TRANSCRIPT OF PROCEEDINGS

- - - -

1 assume that the Marcellus Shale reaches double the
2 peak level of drilling that was achieved in the
3 Barnett Shale last year, if we did 6,000 wells a year,
4 it would be 20 times what we expect to drill this
5 year. We would use 60 million gallons a day of water,
6 which would be about half a percent of total
7 Pennsylvania water use, which is over 10 billion
8 gallons a day.

9 The SRBC, Susquehanna River Basin Commission,
10 estimates that at double the Barnett Shale level of
11 drilling, we would use less than half the water that
12 we use on golf courses and ski slopes. It's just a
13 matter of perception.

14 The frac chemicals that we use has been a big
15 issue. Of everything that goes down the well, 90
16 percent of it was water, 9.95 percent sand, and 1/20th
17 of one percent is chemicals in very dilute
18 concentrations. A lot of the chemicals are ones that
19 we're exposed to in our everyday life. We're
20 constantly working to find greener and more
21 environmentally friendly formulas.

22 I've read articles where we're using 300
23 different chemicals to frac these wells. That's not
24 true. There may be 300 chemicals available out there.
25 We use four or five to frac these shale wells. These

TRANSCRIPT OF PROCEEDINGS

- - - -

1 are the chemicals that we use. I'm not going to go
2 through all this, but it shows the common uses for the
3 same chemicals that we use every day.

4 When the water flows back, it picks up some
5 dissolved constituents from the rock, primarily salt.
6 If you ask DEP, they will tell you that that is their
7 primary concern. It's not any of the additives that
8 we use; the concern is the salt.

9 When you put the conventional treatment for
10 produced water in PA is to drop out the heavy metals
11 and dump clean saltwater into the river and let it
12 dilute to a safe concentration. DEP would like to end
13 that practice in time, and we agree with them that
14 that can be achieved, and we're working closely with
15 them.

16 How much salt is it? Well, PennDOT puts
17 750,000 tons of salt a year on state roads. That
18 doesn't include the municipalities. That equates to
19 about 3,100 of these Marcellus Shale gas wells, and
20 that all runs into the ditch and into the river.

21 PA streams can handle a lot more salt safely
22 before they reach any EPA limit of aquatic life
23 impact. We are working with DEP on a lot of different
24 technologies to reduce the amount of wastewater,
25 including reusing the water, which is our preferred

TRANSCRIPT OF PROCEEDINGS

- - - -

1 method.

2 Our process does create some inconvenience.
3 It's a construction process. It's dirty and
4 continuous around the clock. We have noise and
5 lights. We have occasional bad actors in the
6 industry, but probably not so many in the Marcellus.
7 At \$4 million a well, these are not small companies
8 that are getting involved in this.

9 MR. DALEY: The other drillers before
10 you, there were some bad actors.

11 MR. CARLSON: The ma-and-pa-type
12 companies would try to cut some corners. I don't
13 think you will find that with the bigger companies.
14 We have invested so much money, we can't hide what
15 we're doing, and we have to keep coming back. But the
16 main thing about the inconvenience is that it's
17 temporary.

18 What about the roads? We do damage the roads.
19 A lot of secondary roads in PA are dirt or original
20 dirt road and they have tarred and chipped them for
21 years. They have no base under them. You bring this
22 heavy equipment in, and it does damage. We're legally
23 liable to repair the roads. We have spent about \$3
24 million the last two years doing it. We always leave
25 the roads as good or better than they were. I believe

TRANSCRIPT OF PROCEEDINGS

- - - -

1 that in the long run our industry is going to improve
2 the road system in a lot of rural PA at no cost to
3 taxpayers.

4 We're in the very infancy of the potential of
5 this Marcellus. We will drill maybe 300 wells this
6 year. There's a lot of jobs and wealth creation to
7 come and a huge economic boost. The development will
8 last for many generations.

9 Some regulatory and legislative issues. You
10 know, DEP originally was concerned with the Marcellus
11 Shale, and they put in some permit steps in the permit
12 process that were problematic. We worked real hard
13 with them in the last six or eight months and worked
14 through a lot of that stuff. Pennsylvania does have
15 adequate regulation.

16 This wastewater strategy that they have
17 announced is a little bit troubling, only from the
18 standpoint of how fast we can get there.
19 Legislatively, there's 23 new bills so far this
20 session that impact our industry. Some of them are a
21 little onerous, some of them we're in favor of, some
22 of them are just a lack of understanding. The
23 constituents in some areas are throwing up red flags
24 without understanding, and our industry hasn't done as
25 well as it should in getting out in front of that.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 What we need to grow is predictable and science-based
2 regulations. We're all in favor of that. We just
3 need to not regulate based on emotion.

4 We need a business-friendly climate that will
5 attract more producers. We need to get more
6 competitors up here to drive the cost down. We had a
7 rig break down here a couple months ago, we had to
8 wait three days, while we're paying \$50,000 a day
9 standby, for a mechanic that knew how to fix it to
10 come up from Texas. We need to get 100 rigs running
11 up here so we can get mechanics up here. We need
12 machine shops that run around the clock to do oil
13 field work so when things break, we can get them
14 fixed. It's just going to take a higher level of
15 activity to get there.

16 It's not a surprise that our industry is not
17 in favor of a severance tax. I thought I'd throw that
18 in. Particularly at the lower gas prices, we think
19 that tax right now, the governor's proposal would only
20 generate about \$38 million or 35 percent of the
21 expectation.

22 The other big shale-producing states, Texas
23 and Arkansas, in particular, have discounted their
24 severance tax rate way down to encourage the drilling
25 of shale wells. If those discounts were applied in

TRANSCRIPT OF PROCEEDINGS

- - - -

1 Pennsylvania, it would only generate \$4 million this
2 year and \$10 million next year.

3 We think the taxing in this industry, when
4 it's very early in its life, is just sending a bad
5 message to the investment community. We are competing
6 for capital in other states and other countries. We
7 want to get this up and running. We think that the
8 Marcellus Shale will bring a lot more revenue to the
9 State coffers by encouraging its development than by
10 taxing.

11 We suggested that leasing public lands would
12 be a good way to generate money faster. I won't delve
13 into that. I showed you that the footprint for
14 drilling in the forested areas is very small, and the
15 revenues could be very substantial.

16 That's all I really had to say. I appreciate
17 you having me here to speak. I'll try to answer any
18 questions you have.

19 MR. DALEY: Carl, I thank you for your
20 presentation.

21 MR. MARSHALL: Two questions, really.
22 One you just mentioned, and I've heard in the past
23 that you have to bring trained workers from Texas or
24 other sites. I had a constituent that was recently
25 laid off from USAir, and he wondered what training he

TRANSCRIPT OF PROCEEDINGS

- - - -

1 would need and where he would get this training to be
2 able to work in gas field production like that.

3 MR. CARLSON: Well, the fieldwork is
4 generally on-the-job training. It doesn't require any
5 kind of special training, high school education.
6 Beyond that is good. We do have well tenders that
7 have college degrees, but it doesn't require that.

8 We're working real hard with different
9 workforce development groups to try to get adequate
10 curriculums into vo-tech schools and community
11 colleges. That's going to take a little time to get
12 there. We should be trying to import curriculums from
13 Texas and other places where they have the jobs that
14 we need up here.

15 I can tell you that, for instance, the
16 drillers, the drilling crews up here, when they first
17 came up here, it was all Texas guys. After making a
18 few trips up here from Texas, especially in the
19 winter, those guys said, I'm not going anymore. A lot
20 of those guys have been replaced already by local
21 people, I would say about half of the rig crews in
22 Pennsylvania.

23 MR. MARSHALL: The other question, with
24 the horizontal drilling, and if you can capture 500
25 acres in one well, why do you need to move 15 feet?

TRANSCRIPT OF PROCEEDINGS

- - - -

1 MR. CARLSON: Each of those legs -- there
2 was six double pitchfork pattern of six wells.
3 They're each separate well bores. The technology is
4 to do it all out of a central well bore, but it's very
5 expensive to do that. It's cheaper to drill six
6 individual well bores on very close spacing.

7 Do you follow what I'm saying?

8 MR. MARSHALL: Yeah.

9 MR. CARLSON: The vertical sections are
10 all 20 feet apart.

11 MR. DALEY: The graphic didn't represent
12 anything to scale. It was just a graphic.

13 MR. CARLSON: All those wells were all at
14 the same starting point.

15 MR. COSTA: First, I have an easy one for
16 you. Are you aware there's a nuclear technician on
17 the "Simpsons" named Carl Carlson?

18 MR. CARLSON: So I've been told. I don't
19 watch that show.

20 MR. COSTA: When you initially drill the
21 line and you pump the water, once you do the initial
22 drilling, the water is no longer an issue; is that
23 correct?

24 MR. CARLSON: That hydraulic fracturing
25 is a one-time deal.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 MR. COSTA: You establish the pump, how
2 long is that pump active?

3 MR. CARLSON: The wells actually flow on
4 their own pressure. There's about 3,500 pounds per
5 square inch in the gas pressure down there in the
6 shale, so it pushes the water back out of the hole and
7 flow it back. Then it just starts flowing gas on its
8 own. Those wells will probably last -- we're not
9 sure. We're guessing 30 to 50 years. They decline
10 the whole time.

11 MR. CALLEN: You don't need a continuing
12 fracturing?

13 MR. CARLSON: No, no. One time at the
14 beginning. You drill it, you frac it, you reclaim it,
15 and it sits out there and it flows for 30 to 50 years.

16 MR. MARSHALL: I've heard about
17 refracking. Is that during the same process?

18 MR. CARLSON: I've heard that, too, but
19 I'll be honest with you, it's virtually impossible to
20 refrac a horizontal well. In that lateral hole, you
21 shoot a bunch of perforations at the end of the well
22 bore, and then you hook up your pump trucks and pump
23 the first stage of that fracture, and then you set
24 bridge plugs and seal off the end of the hole, and
25 then you perforate another section of the hole and

TRANSCRIPT OF PROCEEDINGS

- - - -

1 frac it, set another bridge plug, and perforate
2 another section and frac it. You do this about ten
3 times, and then you knock all those plugs out of the
4 hole and flow everything back together and produce
5 them all together. So you could never isolate those
6 individual stages again, because you've got
7 perforation all over the pipe.

8 I've heard that mentioned, that you frac these
9 wells over and over, but it's just not true.

10 MR. DALEY: Representative Longietti.

11 MR. LONGIETTI: Everybody says our source
12 of energy is our energy of the future. Your materials
13 talk about 57 percent of the new capacity for 2030
14 will be natural gas. The gentleman on coal, he shows
15 us a chart, natural gas peaks at 2016 and goes down
16 after that.

17 MR. CARLSON: I saw that. Our source was
18 the DOE's Energy Information Agency. We were using
19 the 2009 report. I saw that his was the 2008 report.

20 MR. LONGIETTI: Yeah, 2008. Just
21 curious.

22 MR. CARLSON: Maybe they have not
23 factored in all of the reserve potential of these gas
24 shales in that earlier report. I don't know. But I
25 honestly believe we're going to need all of these

TRANSCRIPT OF PROCEEDINGS

- - - -

1 sources.

2 Energy, if we're going to maintain our
3 standard of living -- the rest of the world is trying
4 to catch up with us. They're going to really start
5 catching up.

6 MR. HAYNES: I'm interested in the
7 workforce capacity of cultivating this gas. You said
8 you're expecting 300 wells to pop up this year alone.

9 MR. CARLSON: Yes.

10 MR. HAYNES: How many workers?

11 MR. CARLSON: Each continuously run rig
12 will support about 150 full-time, direct jobs and then
13 maybe a 1.7 multiplier for indirect jobs. So by the
14 end of the year, we're expecting about 25 rigs to be
15 running in the state. So 25 times 150 is --

16 MR. DALEY: A lot.

17 MR. CARLSON: About 4,000 jobs, direct
18 jobs.

19 MR. DALEY: 3,000.

20 MR. CALLEN: But you said there are a lot
21 of contractors who are being --

22 MR. CARLSON: We contract everything.
23 All we do -- we're like the general contractor. We
24 subcontract the drilling, the fracking, all the earth
25 work.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 MR. CALLEN: Then there are other things
2 like machine shops.

3 MR. CARLSON: Really, that 150 jobs per
4 rig does not count any kind of manufacturing. We're
5 running three miles of pipe in each well. And there's
6 no reason that that can't be manufactured in PA. John
7 Sherman wants to manufacture.

8 MR. MARSHALL: Just on that line, the
9 casing and the pipe, how much of that is imported, and
10 how much is American made?

11 MR. CARLSON: I think it's mostly
12 American made, but it's not Pennsylvania made.

13 MR. MARSHALL: I had a meeting with a
14 group -- I had a mill shut down in my district because
15 there's boat loads of pipe sitting in Houston that's
16 imported from China. When Range Resources -- do
17 you --

18 MR. CARLSON: I'll check on that. I
19 don't think we're buying any foreign pipe.

20 MR. MARSHALL: That's good to hear.

21 MR. CARLSON: There's no reason why we
22 can't manufacture the drilling rigs and a lot of the
23 other production equipment as well.

24 MR. DALEY: We want to talk to you after.
25 We have a constituent that wants to put a facility in

TRANSCRIPT OF PROCEEDINGS

- - - -

1 Allenport. He has a stainless steel operation at the
2 Wheeling-Pitt.

3 MR. CARLSON: Okay.

4 MR. DALEY: Any other questions,
5 Representative Marshall?

6 MR. MARSHALL: That's it.

7 MR. DALEY: Thank you very much, Carl.
8 Good to see you again.

9 MR. CARLSON: You, too.

10 MR. DALEY: I will give you a call first
11 of the week.

12 The next presenter is Thomas Sarkus. He's a
13 senior management and senior analyst for U.S.
14 Department of Energy's National Energy Technology
15 Laboratory from Pittsburgh and member of Tom Ridge's
16 Junior Management. He's the main guy.

17 Tom, good to see you.

18 MR. SARKUS: Yes, it's been a while but
19 always good to be back.

20 Work on the computer here for a minute.

21 Good afternoon. It's good to be back. I
22 guess I don't really need the mike. For those who
23 aren't familiar with NETL, the National Energy
24 Technology Laboratory, we maintain five facilities.
25 Pete mentioned the one here in Pittsburgh. We also

TRANSCRIPT OF PROCEEDINGS

- - - -

1 have facilities in Morgantown, West Virginia, Albany,
2 Oregon, Houston, Texas, and Fairbanks, Alaska. NETL
3 spearheads fossil energy research in much the same way
4 that the Department of Energy's National Renewable
5 Energy Laboratory, or NRAL, in Golden, Colorado, does
6 a similar function for renewable energy research.

7 As the lead lab for fossil energy within the
8 Department of Energy, our mission includes clean coal
9 technology and carbon capture and sequestration.

10 I just came today from an international
11 conference that was just adjourned at 1:00 at Station
12 Square, and we had over 700 experts from around the
13 world addressing carbon captures and storage, over 180
14 technical presentations and another 80 poster
15 sessions. So if you ask, is there anything happening
16 in terms of carbon capture and storage, there is a
17 tremendous volume of activity and information
18 happening in that field.

19 For example, I learned at the conference that
20 to date about 150 master's and doctoral theses have
21 been issued pertaining to fields in carbon capture and
22 storage. Who is jumping on this activity? Some of
23 the top universities in the world, really. MIT,
24 Stanford, Carnegie Mellon were in abundance at this
25 conference.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 NETL is a large lab. We have a lot of smart
2 people, and I borrow many of my slides, but the next
3 five are Sarkus originals, if you will. Consider that
4 fossil fuels account for about 85 percent of the
5 energy that is consumed in the United States, and our
6 economy is -- our energy economy, I often characterize
7 it as a three-legged stool. Of course there's oil or
8 petroleum, we use that predominantly for
9 transportation fuels. Natural gas we use primarily
10 for space heating in residential, commercial and
11 industrial applications, and coal, the third leg of
12 that stool, we use primarily for electricity.

13 In fact, I believe it's over 90 percent of the
14 coal that's burned in the country, something like 94,
15 93 percent, and these numbers fluctuate from year to
16 year -- is burned to generate electricity.

17 When I started -- when I was a junior manager
18 a long, long time ago, if you would just kind of look
19 at this part of the left part of the graph, two trends
20 were apparent. One is that coal accounted for about
21 half of the electricity generated in the country.
22 I've been charting these numbers for a long time now.
23 Fast forward to today, and those two trends still
24 persist. Really not much has changed over that time.

25 A lot of people throw around the fact that

TRANSCRIPT OF PROCEEDINGS

- - - -

1 about half of our coal comes from electricity, and
2 they kind of make another mistake in assuming that
3 half of the power plants are coal-fired power plants,
4 and that's not true. Less than one-third, about 30
5 percent of our power plants, are designed to burn
6 coal.

7 So I ask you why is it that less than
8 one-third of the power plants in the United States
9 generate approximately half of the electricity. Look
10 at what's happening with natural gas. 40 percent of
11 the capacity is generating approximately 20 percent of
12 the electricity, and so on. With nuclear, nuclear is
13 kind of like coal. They're squeezing more electricity
14 out than the capacity might otherwise indicate.

15 Briefly what -- what's -- what's happening
16 here is that these numbers reflect the operating costs
17 for each energy source. Coal and nuclear are cheap
18 plants to run. They run in what is called baseload
19 operation. Things like natural gas, as we will show
20 you on the next slide, tend to be more expensive.

21 I agree with the previous speakers that we
22 need all of these energy sources, and my prediction
23 and really the prediction of every credible energy
24 expert that I know, is that in 20, 30, 40 years' time,
25 we're going to look around, and no matter how

TRANSCRIPT OF PROCEEDINGS

- - - -

1 aggressively we have pursued solar, wind, coal, gas,
2 nuclear, at that point we're going to look around and
3 say, you know, we think we need more energy. We're
4 looking at tremendous demand growth happening, and you
5 just can't get there unless you deploy and
6 aggressively deploy a portfolio.

7 When you look at natural gas, those plants --
8 and we built a lot of natural gas plants in the 1990s
9 and early part of this decade -- they're cheap to
10 build. They can build them fast. They're the
11 cheapest to operate and to maintain, but what kills
12 them is the fuel cost. So on average -- these are EIA
13 statistics. On average, electricity from natural gas
14 is twice as expensive than electricity from coal.
15 That's why you max out the coal plants and why we
16 generate as much capacity from them as we can.

17 Another common error that people make in
18 analyzing the energy situation is when they think of
19 coal, they think of this black rock. And you
20 naturally start thinking these Molly Maguires and
21 where does this coal come from. It comes from
22 backwards places like Western Pennsylvania and West
23 Virginia and Kentucky and Wyoming. But that's where
24 you sort of make a mistake, because this is not just
25 about coal.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 I was visited for about a day last year by a
2 reporter from the "Washington Post." And he asked me,
3 he said, could America survive without a coal mining
4 industry? You know, in this economy, maybe not. But
5 in better times, it's arguable. The coal mining
6 industry generates total revenue of approximately \$25
7 billion a year. So when the economists throw around
8 numbers in the trillions, it's not that -- it's not a
9 huge number. We probably spend another \$10 billion a
10 year to transport that coal to the power plants on
11 railroads and trucks and barges. So, basically, the
12 electric power industry spends \$35 billion a year, on
13 average, to purchase coal.

14 That industry, the power industry then goes on
15 and turns every dollar that they spent on coal into \$5
16 worth of electricity. So coal is the raw material,
17 but electricity is the added value product. \$175 to
18 \$185 billion a year worth of electricity generated
19 from coal, that, I would submit to you, is the
20 industry that this country cannot survive without.

21 If you take that one step farther -- and I'm a
22 chemist and a lawyer, not an economist. If you take
23 that one step farther and think, what is this
24 electricity being used for and what kind of value are
25 those electricity users adding to the economy, because

TRANSCRIPT OF PROCEEDINGS

- - - -

1 electricity is not just consumed in our houses. It's
2 consumed by every business and factory and industry in
3 the country. You're coming up with a number that is
4 fairly substantial.

5 And as you see here, this map shows not where
6 the coal is mined but where the coal is burned. And
7 many of those states don't have much, if any, coal,
8 but yet they're very dependent on the electricity that
9 is generated from coal burned in their borders.

10 This map is a little harder to read, but it's
11 very important. We have average numbers showed for
12 each state, and the top number is the average cost --
13 the average retail price of electricity in cents per
14 kilowatt hour. The bottom number is a percentage.
15 That's the percent of the electricity generated in
16 that state that comes from coal.

17 So what do we see? We see the lowest price of
18 electricity occurs in the Pacific Northwest. They
19 have a lot of hydropower. We really don't have
20 significant opportunities to build huge, new dams
21 anymore. We don't have tremendous hydropower
22 opportunities. They have already been largely
23 developed.

24 The next lowest prices are the states shown in
25 green. You will see a trend there. The percentage

TRANSCRIPT OF PROCEEDINGS

- - - -

1 numbers for coal there are pretty high. Now, the next
2 highest are the states shown in yellow. What's
3 happening there, because Pennsylvania is in the
4 yellow? There's a couple of states here in the
5 yellow. What you're seeing there is that the
6 percentage you're getting is a little bit lower, and
7 these states predominantly have a mixture of coal with
8 natural gas and nuclear capacity. Texas, a lot of gas
9 and nuclear mixed with their coal. Illinois, they mix
10 gas and nuclear in the coal. And so does
11 Pennsylvania.

12 The highest cost states are the ones shown in
13 red. A lot of the opposition, the environmental
14 opposition to coal -- and usually, you know, it comes
15 in from media outlets -- you look where those media
16 outlets are, they're a lot of times in those red
17 states.

18 This is from the early release, and these
19 numbers are changing a little bit. The point I would
20 make is not so much that people are showing pie charts
21 with different numbers on them. The point you have to
22 keep in mind here is that the pie charts are growing.
23 So that 22 percent of 113 quarts is a little bit more
24 than 22 percent of 100 quarts. You have to sit down
25 with a calculator and chunk those numbers out.

TRANSCRIPT OF PROCEEDINGS

- - - -

1 In terms of air pollution controls, and
2 environmental concerns are the Achilles heel of coal,
3 they're well known. What we have seen in -- and it's
4 happened a lot here in the Pittsburgh area as well as
5 across the Commonwealth is, there's been an evolution.
6 The first pollutant to be addressed was particulate
7 matter or soot and then sulfur dioxide and then
8 nitrogen oxide and then mercury, and then the next one
9 is carbon dioxide. I don't want to get into the
10 debate about whether global warming is happening. I
11 think that horse has left the barn, and we are looking
12 at climate change controls of some sort in the not too
13 distant future.

14 But when that happens, we're looking at a
15 problem whose magnitude really dwarfs any kind of
16 pollution control that we have dealt with before. The
17 sulfur dioxide scrubbers -- and Representative Daley
18 knows I spent the first half of my career working on
19 scrubbers -- \$15 million tons. We're looking at 6.3
20 billion tons of CO2 emission in this country per year.
21 It's not an unprecedented scale, but it is very large
22 compared to what we're used to dealing with.

23 One of the technologies that is well suited to
24 dealing with carbon dioxide is IGCC, or Integrated
25 Gasification Combined Cycle. And I had the distinct

TRANSCRIPT OF PROCEEDINGS

- - - -

1 privilege of managing and supervising the Department
2 of Energy's co-funding of the only two coal-based IGCC
3 plants that are operating in the United States. There
4 are six worldwide. These are the two that were built;
5 one is in Indiana, and the other is in Florida.

6 Now in terms of tackling CO2, you can really
7 do three things. You can switch to less
8 carbon-intensive forms of energy. These are things
9 like renewables and nuclear. You could also pursue
10 things like energy efficiency and energy conservation.
11 And the third route is to continue using fossil fuels
12 but do something with that carbon. For example, store
13 it geologically. Again, all of the credible energy
14 experts and studies that I have seen assert that
15 you -- to reach any sort of climate stabilization
16 scenario, you must employ all three of these
17 mechanisms. You cannot stabilize climate with any one
18 of these or with any two of these. You need all
19 three, and I'll go so far as to say in roughly equal
20 measures.

21 I have a video, and we'll skip over that.

22 Let me ask, do you understand what we're
23 dealing with when we talk about geologic storage of
24 CO2? We would capture the gases from a power plant,
25 we would then compress it into almost like -- the

TRANSCRIPT OF PROCEEDINGS

- - - -

1 technical word is called supercritical fluid. It
2 behaves a lot like a liquid because it's so highly
3 compressed. And then you would inject it into the
4 earth to a depth below of about 2,400 feet, because at
5 those depths, the temperature and pressures are
6 sufficient enough to keep it in a liquid-like state.

7 Now, we're not injecting it into a large cave
8 or cavern. We're injecting it into small, tiny pores
9 that exist in between the grains of a rock like a
10 sandstone. However, the sandstones can be hundreds of
11 feet thick, and they can extend in some cases for
12 hundreds of miles. When we first started looking at
13 this, people questioned whether there was enough of
14 these tiny, little core spaces under the ground to
15 hold much of this gas, and in point of fact, there is.

16 I mentioned before the United States emits
17 approximately 6 billion tons a year of CO2 from all
18 sources. About 36 percent of that, or 2 billion tons,
19 comes from coal-fired power plants. The remaining
20 two-thirds comes from petroleum and natural gas
21 sources, everything from our homes and our cars to the
22 factories that we work in. So these are the storage
23 capacities estimates from an atlas that NETL has
24 prepared, and I brought the second edition of that
25 atlas. If you wanted to know how much storage

TRANSCRIPT OF PROCEEDINGS

- - - -

1 capacity we have in, for example, these saline
2 formations, you would take the low estimate, perhaps,
3 and divide that by six. That would give you how many
4 years of storage capacity we have. Or if you just
5 wanted to store the CO2 from coal plants, you would
6 divide it by two.

7 What you see here, these are huge numbers.
8 We're talking hundreds of years of storage capacity,
9 maybe even thousands of years. Given we only have
10 approximately a 200-year supply of coal, it really is
11 not an issue whether we have enough storage capacity.
12 I won't go as far as to say that we're going to
13 continue using coal for the next 200 years. I think
14 what's really in play in societal debate is we will
15 probably continue using coal in the next 50 to 100
16 years.

17 Why does it matter that we have so much extra
18 storage capacity? It gives us the ability to go in
19 and select the very best ones. This is about geology.
20 We want to get this right. With that much capacity, I
21 think we do have the latitude to go in and select
22 sites where the CO2 can be stored safely and securely
23 and relatively permanently.

24 Let me know if I'm going too long.

25 MR. DALEY: If you could wrap it up in

TRANSCRIPT OF PROCEEDINGS

- - - -

1 about five minutes. We're running -- we only have so
2 much time in this facility. We're about 10, 15
3 minutes over now.

4 MR. SARKUS: Enhanced oil recovery that
5 you need to look at. CO2 on the open market goes for
6 approximately \$30 a ton. Each ton of CO2 that's
7 injected into a depleted oil field -- and there are
8 many of those in Pennsylvania -- can generate an
9 additional two to three barrels of oil. I haven't
10 checked the price for a barrel of oil. The last time
11 I checked, it was a little over \$50. The economics
12 are there that this -- this can be a great incentive.

13 Now, if we injected it into the ground, is it
14 going to stay there? This is a schematic we filmed in
15 the North Sea where they extract natural gas from
16 here. However, there's a lot of CO2 in the gas, so
17 they strip it out. Norway has a CO2 tax. So to avoid
18 the tax, they inject it into a different formation
19 about a mile away from the drilling rig. These are
20 seismic plumes. These are taken every couple of
21 years. Here we have the CO2 plume (indicating). You
22 see that it is staying intact, and it's staying
23 underneath what we call a seal or cap rock formation.
24 That's the second piece of sequestration. One is this
25 porous formation that you inject into. The second

TRANSCRIPT OF PROCEEDINGS

- - - -

1 piece is a nonporous cap overtop that basically keeps
2 the CO2 in place.

3 NETL has a series of seven regional
4 partnerships across the United States, because the
5 geology is different in the seven regions of the
6 country. I'm sure you're aware that Pennsylvania
7 Geological Survey belongs to Midwest Regional
8 Partnership. They've got some good studies on the
9 geological surveys web site.

10 We're now just starting on nine large scale
11 tests, and these are the locations of those tests.
12 The first one, which is the one shown in Illinois,
13 just started drilling in February and will complete
14 drilling later this year. So the next couple of
15 years, you will hear a lot about this project, and you
16 will see a lot of data coming out.

17 One thing about coal-fired power plants, when
18 I first started early in my career, I went to a senior
19 person and I said, I see all these projects that
20 developers say they're going to build and I notice
21 some of them don't get built. How many of them are
22 really going to get built? He said, no more than
23 about half of them, Tom. The real number is probably
24 closer to 20 or 25 percent. This is not smoke or
25 mirrors. The problem is, a large coal-fired power

TRANSCRIPT OF PROCEEDINGS

- - - -

1 plant is a multi-billion-dollar investment these days.
2 It's a lot of heavy lifting, and a lot of things can
3 and do unravel with those kinds of projects.

4 I will close with a mention of NETL's budget.
5 Our carbon sequestration R&D program has an annual
6 budget of \$150 million for fiscal 2009. We have an
7 additional \$50 million focusing on water issues
8 pertained at carbon capture and storage. That's not
9 counting the stimulus package, which includes \$3.4
10 billion for fossil energy. Basically, that \$3.4
11 billion will be focused on things pertaining to carbon
12 capture and storage, and most of that will be managed
13 out of my office at NETL.

14 With that, here's some contact information,
15 and I'm always happy to make myself and NETL available
16 for questions, and you're always certainly welcome to
17 come back and visit us.

18 MR. DALEY: Thank you, Tom. Dave and I
19 were saying how significant your presentation was.
20 It's a shame that some of the other members hadn't
21 heard it.

22 Can you make me a copy of your slide
23 presentation? What I will do is I'll make sure all of
24 the members of the committee get it, and we will get a
25 copy of the transcript, also. I think it's very

TRANSCRIPT OF PROCEEDINGS

- - - -

1 important that they hear and see what you have to say.
2 You probably should have been moved to first in the
3 scheme of things as the first presenter, as opposed to
4 last presenter.

5 Any questions?

6 MR. CALLEN: Tom, the big problem that I
7 wonder about is how do you transport the CO2 from
8 existing plants to sequestration plants?

9 MR. SARKUS: We have a couple --

10 MR. CALLEN: Do you need pipelines to do
11 that?

12 MR. SARKUS: We have a couple problems in
13 this country. I mentioned enhanced oil recovery. CO2
14 is injected in a hundred locations in this country for
15 enhanced oil recovery. The problem is, despite all
16 the CO2 in the atmosphere, we don't have enough CO2
17 that we actually -- we don't have enough of what we
18 call commodity CO2. So for some of our experiments,
19 we're trucking CO2 across three states. I can tell
20 you what the bills are for something like that.

21 Now, down in west Texas, they pipeline CO2 800
22 miles, pipeline probably because it's cheaper for the
23 larger volumes, and in west Texas they pipeline CO2
24 800 miles from natural sources in Colorado, Wyoming
25 and Utah. It's extracted from the ground and

TRANSCRIPT OF PROCEEDINGS

- - - -

1 pipelined 800 miles. There's no technical limit on
2 how far you can pipeline this.

3 There is an economical limit for power plant
4 applications which is believed to be on the order of
5 200 to 250 miles. Your power plant doesn't have to be
6 right over a reservoir. It just has to be within
7 economical distance.

8 MR. DALEY: Thanks, Tom. Thanks,
9 everyone, for attending.

10 This meeting is adjourned.

11 (Whereupon, the hearing was adjourned at
12 3:14 p.m.)

- - -

14
15
16
17
18
19
20
21
22
23
24
25

TRANSCRIPT OF PROCEEDINGS

- - - -

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T I O N

I hereby certify that the foregoing transcript is a true record of the House Commerce Committee Public Hearing on Thursday, May 7, 2009.

The foregoing certification does not apply to any reproduction of this transcript in any respect unless under the direct control and/or direction of the certifying reporter.

Court Reporter