

COMMONWEALTH OF PENNSYLVANIA  
HOUSE OF REPRESENTATIVES  
HEALTH and HUMAN SERVICES  
COMMITTEE HEARING

RYAN OFFICE BUILDING  
ROOM 205  
HARRISBURG, PENNSYLVANIA

THURSDAY, JUNE 17, 2010  
10:00 A.M.

PRESENTATION ON  
USE OF CHLORAMINES AS A  
PUBLIC WATER DISINFECTION CHEMICAL

BEFORE:

HONORABLE BARBARA McILVAINE SMITH, MAJORITY CHAIRMAN  
HONORABLE TIM SEIP  
HONORABLE JOHN MYERS  
HONORABLE EDDIE DAY PASHINSKI  
HONORABLE VANESSA LOWERY BROWN  
HONORABLE MATTHEW E. BAKER, MINORITY CHAIRMAN  
HONORABLE BRYAN CUTLER  
HONORABLE KERRY A. BENNINGHOFF  
HONORABLE DOUGLAS G. REICHLEY

ALSO PRESENT:

APRIL RUCKER  
EXECUTIVE ASSISTANT

KELSEY J. DUGO,  
COURT REPORTER  
NOTARY PUBLIC

\*\*\*\*\*

**KELSEY DUGO REPORTING**  
**71 Willow Mill Park Road \* Mechanicsburg, PA 17050**  
**Phone: (704) 996-9514**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

TESTIFIERS

<u>NAME</u>	<u>PAGE</u>
SUSAN PICKFORD CODIRECTOR CHLORAMINE INFORMATION CENTER.....	
NANCY COX CODIRECTOR CHLORAMINE INFORMATION CENTER.....	
DR. MARK LeCHEVALLIER, PhD DIRECTOR INNOVATION & ENVIRONMENTAL STEWARDSHIP AMERICAN WATER CORPORATE CENTER.....	
ANNETTE SMITH DIRECTOR VERMONT FOR CLEAN ENVIRONMENT.....	
BRIE HOBLIN VERMONT.....	
LAWRENCE ZINSER MASTER WATER CONDITIONING.....	
DR. JOSEPHINE RAKOW D.O.....	

## 1 P R O C E E D I N G S

2 \* \* \*

3 CHAIRMAN McILVAINE SMITH: Thank you, everyone,  
4 for being here this morning. We're here to hear testimony on  
5 the issue of the use of chloramine as a disinfect for public  
6 water. I'm State Rep. Barb McIlvaine Smith from Chester County  
7 and I'm acting chair today in place of Rep. Oliver, who could  
8 not be with us. I'm going to allow the other members of the  
9 committee -- the Health and Human Services Committee to  
10 introduce themselves and I'll start to my right.

11 CHAIRMAN BAKER: Rep. Matt Baker; titled in  
12 Bradford County, Republican chairman.

13 REP. CUTLER: Good morning. Rep. Bryan Cutler  
14 from Southern Lancaster County, 100th District.

15 REP. MYERS: Rep. John Myers; Philadelphia County.

16 CHAIRMAN McILVAINE SMITH: Thank you very much and  
17 I welcome all of our guests here today and you look like a  
18 sedate group, but I will remind you that this is a committee  
19 hearing for the committee members only. This is not a rally.  
20 There will be no hand clapping, cheers, etcetera.

21 I would like to also let you know that it's come to my  
22 attention that there are many hearings being held today in the  
23 Capitol, so many of our members could not be here because they  
24 are attending other hearings. But we have packets of  
25 information. We also have a recorder here today who is taking

1 notes and they will receive that packet of information. We  
2 also have written comments that have been submitted by people  
3 who could not be here in person to testify.

4 So we will get started. We will stay on time. We have  
5 so many minutes allotted and then questions after the people  
6 speak. The first people to testify is the Chloramine  
7 Information Center, Susan Pickford and Nancy Cox. And if  
8 you'll start please, Ms. Pickford.

9 CODIRECTOR PICKFORD: Thank you very much. Thank  
10 you for the opportunity to testify here today on this very  
11 important issue about health to the people of our state. My  
12 name is Susan Pickford, codirector of the Chloramine  
13 Information Center, a citizen organization of over 2600  
14 members. This is Nancy Cox seated next to me, the other  
15 codirector.

16 Since the EPA announced Stage 2 disinfectant rural  
17 water companies across PA have rapidly increased the use of  
18 chloramine instead of chlorine as a secondary disinfectant into  
19 our drinking water. Chloramine is a combination of chlorine  
20 and ammonia. Our research indicates that chloramine produces  
21 highly toxic byproducts and is far less effective disinfectant  
22 than chlorine, exposing our citizens to a variety of serious  
23 adverse, long and short-term health effects.

24 Our research is based over 50 peer-reviewed scientific  
25 studies, discussions with the top disinfectant scientists in

1 the country, including Dr. Michael Plewa, of University of  
2 Illinois; Dr. Susan Richardson of the EPA; Dr. David Reckhow of  
3 the University of Massachusetts; Dr. Marc Edwards of the  
4 Virginia Tech; and Stuart Krasner of the Water Quality  
5 Standards Branch of Metro Water District in Southern  
6 California; and others, as well as accumulating personal  
7 accounts from people in 20 states who have reported to us  
8 similar effects of exposure to chloraminated water.

9 Chloramine is a complexed subject and not contusive to  
10 sound bite summary. Our written testimony gives in-depth  
11 explanation of the many and complexed issues surrounding  
12 chloramine.

13 In the limited time I have to speak to you today, I  
14 would like to tell you why chloramine is so threatening to  
15 public health and our environment, why it is not necessary to  
16 use chloramine in our water, and why a moratorium is not  
17 necessary to protect the public health.

18 First, let me state that we understand completely the  
19 need to disinfect our water. We also understand and appreciate  
20 the difficulty and complexity of that task. However, we are  
21 also quite aware of the devastating consequences of premature  
22 wide-scale use of chemicals to resolve life's problems. Our  
23 research indicates that chloramine is by far -- chlorine is by  
24 far the most effective method of cleaning our water and  
25 protecting us from waterborne disease.

1           Water companies claim that chloramine is necessary to  
2 produce the byproducts of chlorine to protect the public health  
3 from waterborne diseases and to comply with the EPA  
4 regulations. However, because chloramine is a more stable  
5 compound, chloramine is 2,000 times less effective in killing  
6 E. coli and 10,000 times less effective in killing rotaviruses.

7           The World Health Organization has discouraged opting  
8 for a lesser disinfectant in favor of by-product control.  
9 Germany has banned the use in their country because it's an  
10 ineffective biocide. EPA banned it from '78 to '79 because of  
11 biocidal ineffectiveness. 30 years of research later validates  
12 their initial finding. Yet, EPA has not reinitiated the  
13 banned.

14           Chloramine, while creating fewer regulated chlorinated  
15 byproducts, creates a whole new array of much more highly  
16 toxic, unregulated byproducts. Scientists agree that these  
17 byproducts are 100 to 10,000 times more toxic than the  
18 regulated byproducts. These include NDMA, Iodo Acids,  
19 Hydrazine, and DXAA, which are genotoxic, cytotoxic, and  
20 mutagenic.

21           Dr. Plewa, who couldn't be here today, but did submit  
22 testimony, cautioned that the switch to alternative  
23 disinfectants may be opening Pandora's Box as we are finding  
24 toxic byproducts more toxic than anything we have ever seen.  
25 Emerging the regulated byproducts -- unregulated byproducts

1 associated with chloramine appear to be toxic in smaller  
2 quantity than the regulated byproducts. Monochloramine also  
3 speciates into di- and trichloramine when affected by  
4 temperature in pH.

5 Trichloramine is a known respiratory irritant  
6 responsible for swimmers asthma. Richard Bull attempted to  
7 study the dermal effects of chloramine using mice. A hundred  
8 percent of his mice died from inhaling the chloramine. They  
9 did not die in tests with chlorine or chlorine dioxide, only  
10 the chloramine.

11 People in 20 states are reporting adverse acute health  
12 symptoms resulting from chloraminated water, including  
13 respiratory ailments, digestive problems and persistent skin  
14 rashes. Some of those stories are including in your packets.

15 When mixed with baby formula, chloramine creates  
16 nitrates and can cause Blue Baby Syndrome, which is oxygen  
17 depravation to the brain. More corrosive in our distribution  
18 system, chloramine reaches lead from pipes and fixtures causing  
19 high levels of lead in children's drinking water. It will not  
20 evaporate or dissipate in air, it cannot be boiled out. While  
21 the monochloramine can be removed with expensive home filters,  
22 the byproducts cannot and we have evidence of that in your  
23 packets from NSF.

24 In the event of a main break, chlorine will dissipate  
25 as it runs down the stream, chloramine will not, which will

1 send ammonia and chlorine full strength into our streams and  
2 creeks, killing our fish as it did in Virginia, California and  
3 British Columbia Canada, killing 90 percent of aquatic life in  
4 nine miles of steam, protected steelhead trout and a thousand  
5 species of white fish and invertebrates.

6 We heard the stories of the Susquehanna River, the  
7 mother river of the Chesapeake Bay, as well as internationally  
8 known fly fishing creeks and streams. In one borough in the  
9 Conodoguinet, we have experienced over 50 water main breaks,  
10 pouring thousands of gallons of water in the Conodoguinet. Had  
11 that water been chloraminated, we may have lost the  
12 Conodoguinet. This area right here shows about 15 water main  
13 breaks that dumped right in to the Conodoguinet through the  
14 culvert under the highway. That happened in the last year.  
15 You have a copy of this map in your materials.

16 As most recently pointed out in a letter to an edited  
17 by Paul Zielinski, companies are claiming that chloramine is  
18 necessary to comply with increasingly stringent EPA  
19 regulations. That is simply not true. Stage 1 regulations set  
20 limits on chlorine byproducts to be calculated in an average  
21 yearly annual. You have this -- I believe you have this on  
22 top. Stage 1 regulations, these are testing locations, these  
23 ten state circles. The Stage 1 regulations require that when  
24 the average across all eight, that they be in compliance with  
25 the 80 parts per million of PHMs.



1           As you can see, these statistics are taken from PA  
2 American Water Mechanicsburg System in 2007, when they  
3 initially intended to put the chloramine in our water. The  
4 annual average for Stage 1 was 45.78, well within the  
5 compliance of the 80 parts per million EPA of requires. Stage  
6 2 does not change those levels. The only thing Stage 2 does is  
7 change how they calculate it. In Stage 2, instead of averaging  
8 across the eight state locations, they have to average within a  
9 year over four-quarters over each location.

10           What I have done for you, I have taken the numbers from  
11 PA American's own data for the year of 2007, and as you can  
12 see, these red numbers on here that are the second column under  
13 LRAA on your handout, every single one of them is well below  
14 the EPA regulations. The highest one is 63. And if you'll  
15 note, these numbers in yellow on my chart are the  
16 third-quarter. In PA, because we have seasons, the  
17 third-quarter is always the highest in THMs because of the  
18 amount of leaves and or organic matter going into our streams  
19 and source water. Those are always higher than the other  
20 quarters. But when you average them with the other quarters,  
21 it brings that quarter into compliance.

22           If you'll note in 2007, the THMs in this one quarter  
23 were 99. That was the highest one for that year. In 2009 --  
24 our 2009 water quality report is in your packet as well -- the  
25 THMs are even lower. They're 92 without chloramine. We do not

1 need to do this to comply with 2010 regulations in this system,  
2 the third largest system in PA.

3 We took water quality reports across the state, as many  
4 as we could get. From what we can see, every water company  
5 that we looked at is in full compliance with Stage 1 and from  
6 what we can tell, will be in compliance with Stage 2. There is  
7 no health related reason to change the chloramine at this time.  
8 The 2012 regs don't come into play for another two years. The  
9 compliance date is October of 2013 for most of our systems and  
10 2014 for some of the smaller ones. We have plenty of time  
11 before anybody would need to comply with these regulations and  
12 from what we can see, they already are. We have good water in  
13 PA. Yardley, we looked at their water quality report, it was  
14 some of the purest water we have see in PA. Almost a third of  
15 what the EPA regulations are. That system was chloraminated  
16 in 2008. There is no reason in the world to do that according  
17 to the regulations.

18 In addition, this system was scheduled to be  
19 chloraminated in 2007. The company voluntarily delayed  
20 implementation and has now announced the intent to implement  
21 chloramination on July 12th of this year. Despite their claim  
22 that the switch was necessary to meet knew regulations, they  
23 have successfully run that plant well in exceeding compliance  
24 for the past three years.

25 If you'll look at the two -- also, the data from PAWC

1 shows the positive effect of upgrading the plant and getting in  
2 better facilities to take down the THMs. They had a problem in  
3 a child testing area. It was always over the limits. When  
4 they put online in 2006 the new plant, you can see from their  
5 data, there was no place that was out of compliance. They had  
6 better technology, new equipment and they brought the THMS into  
7 compliance just by doing that, not by adding chloramine.

8           The research in the area of chloramine byproducts --  
9 the byproducts and alternatives began in earnest in 2005 and  
10 2006. We know more now about chloramine than we did three  
11 years ago. And in three years from now, we'll know a lot more.  
12 Technology development has also increased exponentially in the  
13 last five years. Many new alternatives from filtration to GOS  
14 systems are emerging and being tested and certified. EPA, AWWA  
15 and Water Research Foundation are all calling for studies on  
16 acute and long-term health effects of chloramine. Filter  
17 companies are just learning about the chloramine and what they  
18 can do to remove it.

19           The lead crisis in D.C. may be resolved now, but it  
20 occurred in the first place because we knew so little about the  
21 use of chloramine and it's unintended consequences. As a  
22 result, thousands of people were permanently affected. Current  
23 EPA regulations did not protect those people. The water  
24 companies have not shown a public health related reason for  
25 switching to chloramine in facilities that are well within

1 compliance with EPA regulations. There is simply too little  
2 known about the unintended consequences of chloramine to  
3 implement this system across the state to meet regulations that  
4 won't go into effect for three more years. What little we do  
5 know indicates that with chloramine, we are making a bad  
6 situation far worse, replacing one toxic by-product with at  
7 least four others that are 100 to 10,000 times more toxic, and  
8 yet, unregulated.

9 Chloramine systems are required to transition to  
10 chlorine yearly to clean the distributions system of nitrates  
11 since chloramine is less effective in that regard. If the  
12 companies are constantly able to transition to chlorine, there  
13 is no harm to them to run chlorine systems until further  
14 studies and regulations can ensure the public that the use of  
15 chloramine is safe or until they prove that it does not. They  
16 have proven that by delaying their plans for three years.

17 The only possible harm to a moratorium would -- if a  
18 moratorium were imposed on the companies would be if they could  
19 not maintain compliance without it. Stage 2 does not come into  
20 effect until 2012 and we've shown you that they are already in  
21 compliance, well within compliance.

22 EPA acknowledges the deficient knowledge regarding  
23 chloramine. Quoting their website, gas and research on how  
24 monochloramine affects water should be filled. There are few  
25 studies on how monochloramine affects human health. There are

1 few studies on disinfectant byproducts that form when  
2 monochloramine reacts with nature organic matter and water.

3           Compared to chlorine, water treated with monochloramine  
4 may contain higher concentrations of some unregulated  
5 disinfectant byproducts. That's right from the EPA website.  
6 They say that NDMA is an unregulated by-product of chloramine  
7 and is classified as a probably human caseinogen. All though  
8 listed as a priority pollutant, no federal maximum containment  
9 level has been established for drinking water. That's right  
10 from the EPA website.

11           California has set a public health goal of three  
12 nanograms per liter of NDMA. That's a public health goal.  
13 Philadelphia city water is already reporting NDMA at 2.9.

14           In the letter to this committee, Dr. Plewa recommends  
15 caution in considering converting chloramine. His last comment  
16 in that letter -- and I hope you will read it -- is unless  
17 there is a serious problem with meeting the current Stage 2  
18 Drinking Water Disinfection Rule, it may not be prudent for the  
19 utility to convert from chlorine-based disinfectant.

20           A moratorium until 2012 will protect the public health  
21 from what appears to be realistic and devastating human health  
22 and environmental safety. Allow time for further studies to be  
23 commissioned and published; allow time for alternative systems  
24 to be tested and approved would not negatively affect water  
25 companies and would error on the side of caution for the

1 benefit of our children, ourselves and our environment.

2 Failure to provide a moratorium could result in  
3 irreparable harm to populations of PA children as it did in DC,  
4 PA adults as those who are suffering in Vermont, and pose a  
5 risk to PA aquatic environments like we saw in Virginia,  
6 California, and Canada. The third largest facility in PA plans  
7 to convert July 12th, less than a month from now, unless a  
8 moratorium is granted. Ten of the twelve municipalities are in  
9 favor of further delay until research and regulations can  
10 ensure us that chloramine is safe. The appropriate question  
11 seems to be not why shouldn't we switch, but rather why should  
12 we.

13 With that, I would like ask Nancy Cox, codirector of  
14 Chloramine Information Center to discuss the precautionary  
15 rule.

16 CODIRECTOR COX: Good morning. The EPA, the DEP  
17 and the Water Company keep saying the chloramine has been used  
18 for 90 years. This is only partly true. In 1938, only 16  
19 percent of municipal utilities used it at some point during  
20 their treatment process. During World War II, it declined  
21 dramatically because ammonia was needed for the war effort. By  
22 1959, the number was six percent and by early 1960, it was less  
23 than three percent.

24 Only since EPA set new drinking water standards, our  
25 water suppliers across the state are choosing chloramine to

1 meet those standards. This is in spite of recent studies by  
2 top scientists indicating 100 to 10,000 percent increase in the  
3 toxicity of its byproducts and warning against its use. In  
4 only in the last few years have all of the negative effects  
5 been published by top scientists, including those from EPA.  
6 But they are being ignored by the very agencies that exist to  
7 protect our health and the environment. Two other states are  
8 seeking legislation on this issue.

9 PA has an opportunity to lead the nation in declaring a  
10 moratorium on the use of chloramine. This is the right time  
11 and the right place to apply the precautionary principle. This  
12 basic tenet is when -- is when the health of humans and the  
13 environment are at stake, it may not be necessary to wait for  
14 scientific certainty to take protective action. It goes on to  
15 state, when an activity raises threats of harm to human health  
16 or the environment, precautionary measures should be taken even  
17 if some cause and effects relationships are not fully  
18 established scientifically.

19 In this context, the proponents of the activity rather  
20 than the public should bear the burden of proof. The process of  
21 applying this principle must be opened informed and democratic  
22 and must include potentially effected parties. It must also  
23 involve an examination of the full range alternatives including  
24 no action. Sometimes if we wait for certainty, it is too late.

25 Scientific standards for demonstrating cause and effect

1 are very high. For instance, smoking was suspected of causing  
2 lung cancer long before it was proven. By then, many smokers  
3 had died of lung cancer. In the 1930s, we knew that exposure  
4 to asbestos caused illness. 40 years later, the government  
5 began to warn about its use. Today, lawsuits abound, but money  
6 can't replace life or quality of life.

7 The precautionary principle is a guide to making wiser  
8 decisions in the face of uncertainty. It requires exploring  
9 alternatives especially in the use of toxic substances and  
10 place the burden of proof on the proponents rather than on the  
11 potential victims.

12 There is compelling evidence both in antidotal and  
13 scientific studies, that the use of chloramine to disinfect our  
14 water can cause irreversible harm to our health in the present  
15 and in the future.

16 I urge you to take the precaution of delay, which will  
17 do no harm to any water facility. Where as, to go forward with  
18 this treatment, will do irreparable harm to our health. A  
19 moratorium is needed until the magnitude of its effects are  
20 known. Thank you.

21 CHAIRMAN McILVAINE SMITH: Thank you very much.  
22 Before we go to questions, I would like the other members of  
23 the House who have joined us to please introduce themselves,  
24 starting to my left.

25 REP. BROWN: Good morning. State Rep. Vanessa



1 Lowery Brown; 190th District, West and North Philadelphia.

2 REP. SEIP: Tim Seip; representing part of Berks  
3 and part of Schuylkill Counties, Cabela's and Yuengling  
4 District.

5 REP. PASHINSKI: Eddie Day Pashinski; Luzerne  
6 County, 121st District.

7 REP. REICHLEY: Doug Reichley; 134th District and  
8 Lehigh and Berks Counties.

9 REP. BENNINGHOFF: Kerry Benninghoff; Center and  
10 Mifflin Counties.

11 CHAIRMAN McILVAINE SMITH: Thank you very much. I  
12 will start with a few questions. I know that you said -- had  
13 in your written testimony, Ms. Pickford, it said that in 1978,  
14 the EPA banned the use of chloramine for the single reason that  
15 studies indicated, it was an ineffective biocide against E.  
16 coli. When did they reverse their position or had they not  
17 reversed their position?

18 CODIRECTOR PICKFORD: They reversed it 1979.  
19 They've indicated that field studies did not bear out the  
20 scientific lab studies. But there have been 30 years of  
21 research since and I think across the board, scientists agree  
22 that it is the least effective biocide of the available  
23 alternatives.

24 CHAIRMAN McILVAINE SMITH: And also, the  
25 disinfection byproducts, we know that the trihalomethanes,

1 THMs, are one of the byproducts from chlorine and HHAs -- which  
2 I can't remember what that is, but I know it's acidic acids or  
3 something. If you could tell me what the known byproducts of  
4 chloramine are. Do you know what they are?

5 CODIRECTOR PICKFORD: We know of the four most  
6 highly toxic are NDMA, which is one of the nitrosamines, the  
7 most toxic of them. Iodo acids, which is a whole family of  
8 iodated byproducts, which Dr. Plewa indicated initially seemed  
9 to be connected with cities near oceans, near salt water.

10 A new study just came out with Susan Richardson  
11 indicating that that is not the case, that iodo acids have been  
12 found in 22 American cities that are not coastal cities.  
13 Another one is hydrazine and DXAA which is a more toxic form of  
14 the HHAs and is unregulated at this time.

15 CHAIRMAN McILVAINE SMITH: And when you say the  
16 DXAAs are not regulated, so are -- has EPA, to your knowledge,  
17 looked at the toxicity and regulated the toxic byproducts?  
18 Have they regulated them in any way?

19 CODIRECTOR PICKFORD: No. They are studying them,  
20 but they are not regulated. NDMA and hydrazine were on the CCL  
21 prelist that just had come out probably a year ago now. I  
22 don't believe -- I'm not sure, but I don't think they were  
23 chosen to be studied.

24 CHAIRMAN McILVAINE SMITH: So if a moratorium is  
25 passed, how will facilities -- water facilities meet the

1 compliance of the EPA standards?

2 CODIRECTOR PICKFORD: We believe that they already  
3 do. We certainly know that the Mechanicsburg District --  
4 Mechanicsburg facility absolutely exceeds the regulations.

5 CHAIRMAN McILVAINE SMITH: Excuse me, through the  
6 use of chlorination?

7 CODIRECTOR PICKFORD: Chlorination only. Their  
8 highest level was 63 for the THMs, they are allowed up to 80  
9 and that's in our highest quarter.

10 We believe from looking at water quality reports that  
11 everyone we looked at will be meeting the 2012 regs without  
12 chloramine. If they are on the edge or close to that, two  
13 things can happen. One is that they can ask EPA for a variance  
14 until they can get filtration or some other equipment that can  
15 lower their THMs so they can ask for an extension of the 2012  
16 regs. They can also look into now, two years before the regs  
17 take place, looking into better filtration. The EPA and all of  
18 these scientists are all recommending better pre-filtration as  
19 the way to get rid of these THMs so we can keep the chlorine.

20 CHAIRMAN McILVAINE SMITH: And I know that there  
21 are places that have been using chloramines for a number of  
22 years. I was hoping that Jeff Hines would be able to be with  
23 us. He's from the York Water Company and he's testifying today  
24 at another hearing in the Capitol, so he could not be with us.

25 York is one -- I think 1942 is when they started -- and

1 they haven't according to when we spoke to Mr. Hines that they  
2 haven't had any problems. Philadelphia, I think has been using  
3 it since 1969, somewhere around there. But, can you speak to  
4 that?

5 CODIRECTOR PICKFORD: Yes. The reason -- they say  
6 there are no problems. We don't know that. We know that no  
7 problems have been reported. There's a lot of reasons for  
8 that. One might be the levels of chloramine that they're  
9 using. York uses .02 parts per million of chloramine.  
10 American Water in Clarion uses 3.3, which is the maximum  
11 allowed by EPA. I believe there's probably a big difference in  
12 how that is chemically reacting in the system between .02 and  
13 3.3. So I think that might be one reason.

14 Two, I question whether they have been using it  
15 regularly since the 70s or the 40s because in World War II, it  
16 was not -- you were not allowed to use ammonia because they  
17 needed it for the bombs. In '78 and '79, it was banned by EPA.  
18 What we believe is, a lot of places stopped using it in '78  
19 when the banned came about and didn't start using it again  
20 until 2005. It's hard to tell actually who's using it and  
21 who's not and for how long.

22 The other problem is, and this happened in  
23 Philadelphia, people wrote in reporting black particles in  
24 their tap water. They talked about being sick from their tap  
25 water. And they called the Water Department and the Water

1 Department said, not us, look somewhere else. If you hear from  
2 some of the victims -- the sufferers that are here today and  
3 the ones who have submitted testimony, they went their doctors,  
4 they went to their water company, they went everywhere and  
5 everyone said, we don't know what it is.

6           There is no diagnostic tool for doctors to use because  
7 there are no studies on the acute health symptoms of  
8 chloramination -- of chloramine exposure or the by-product  
9 exposure. There's nothing for them to use as a guideline to  
10 diagnose with. So you get a diagnosis of undifferentiated  
11 because they don't know. Topical solutions and medicines don't  
12 help. The only thing that helps is removing you from the  
13 water.

14           So these people are lost. They have nowhere to report  
15 this. People say, well, we're not getting anything at DOH.  
16 Nobody is reporting anything to DOH. These are not reportable  
17 diseases. The only things that get reported to DOH are  
18 communicable diseases. That's not what this is. If these  
19 people are continually told, your symptoms aren't caused by the  
20 water. I can't diagnose this as a connection with the water.  
21 And the water company says, your water is perfectly safe.  
22 Yeah, we are not going to hear from the people because they are  
23 not making the connection or they are trying to, but they are  
24 being told that there is no connection.

25                           CHAIRMAN McILVAINE SMITH: And I wanted to ask if

1 there are any other questions. Rep. Pashinski.

2 REP. PASHINSKI: Thank you very much and thank you  
3 for your testimony. Do you know what difference of cost is  
4 between chlorine and chloramine?

5 CODIRECTOR PICKFORD: It wouldn't really be a  
6 difference in cost between because it would still use chlorine  
7 to treat the water at the plant. The chloramine would replace  
8 straight chlorine in the distribution system only. We  
9 understand -- I mean, there's certainly our costs of buying the  
10 ammonia and storing the ammonia and transporting it. They will  
11 be able to use less chlorine because they're combining it with  
12 ammonia because it becomes more stable at that point.

13 We know that chloramine is the cheapest alternative to  
14 chlorine and I believe that's available in your packet as well.  
15 We have a chart on that from -- I believe, it's Rural Health  
16 Organization has that chart.

17 REP. PASHINSKI: And I'm sorry I missed your  
18 testimony. I came in a little bit late and I apologize for  
19 that. I'm just trying to understand why they would all of a  
20 sudden now want to go back to chloramine.

21 CODIRECTOR PICKFORD: The EPA's Stage 2  
22 regulations are telling people that they have to get these THMs  
23 reduced. I'm not sure why there isn't a better analysis going  
24 on at the water facilities to determine whether they need to do  
25 that. I mean, I just showed you with their own data. They

1 don't need to do anything to reduce their THMs. They are  
2 already well within compliance.

3 So our only guess -- and it is a guess because we don't  
4 know what's going through their minds -- is that they can save  
5 an operating cost because they can tear down looser plants,  
6 they can operate longer lines because chloramine is more stable  
7 than chlorine and it doesn't dissipate, so last longer in the  
8 lines.

9 REP. PASHINSKI: So then cost would be a potential  
10 reason of why they're considering this?

11 CODIRECTOR PICKFORD: I believe so, yes.

12 REP. PASHINSKI: Who manufactures the chloramine?

13 CODIRECTOR PICKFORD: There is pre-manufactured  
14 chloramine, but there is also chloramine made on-site simply by  
15 adding ammonia to the chloramine before it goes --

16 REP. PASHINSKI: Okay. Thank you very much.

17 CHAIRMAN McILVAINE SMITH: Rep. Baker.

18 CHAIRMAN BAKER: Thank you very much and thank you  
19 for your testimony and for your passion and for your concern  
20 for public health. I've been in receipt of information and I'm  
21 only bringing this up because it seems that we have a lack of  
22 testimony in today's hearing from EPA, DEP, FDA, DOH. So I  
23 think it's justified that we, perhaps, bring in some issues  
24 that DEP has relate to me through a letter of Senator Mary Jo  
25 White, chairman of her committee.

1           In this letter, it says, DEP and the use of chloramines  
2 poses no threat to the public health of their customers. They  
3 go on to say, it's been used since the 1930s and about  
4 one-third of the water systems in the United States utilize  
5 chloramines.

6           It just seems to me that you've raised a lot of good  
7 valid issues and concerns and, yet, we do not have a banned  
8 anywhere in America on this chemical. It's used widely,  
9 ostensibly for disinfection, for public safety purposes on the  
10 one hand and what we're hearing today, though, is that there is  
11 perhaps some concerns that need to be fully explored and  
12 resolved.

13           But I would be able to love to ask questions taking  
14 your testimony and the those that follow and then just to  
15 position that against EPA, DEP, Department of Health and,  
16 perhaps, FDA if we could get somebody to answer questions  
17 because there seems to be a major conflict and there also  
18 steams to be a lack of any litigation that seems to suggest  
19 that there is harm. I mean, normally, if you go into court,  
20 you have to prove injury to some degree. And have we proven  
21 any injury as a result of the use of chloramines? I'm not in  
22 receipt of any of that. I hear a lot of antidotal concerns.

23           It just seems to me that we lack definitive  
24 documentation or evidence that this is, in fact, harmful.  
25 Because we got our public entities there are created to protect



1 us saying, there's not a problem.

2 CODIRECTOR PICKFORD: Absolutely and I completely  
3 understand your concerns. We answered that letter from John  
4 Hanger to Senator Mary Jo White paragraph for paragraph. We  
5 took -- and I have with me today that I can hand out to you  
6 then too -- I took the EPA website on chloramine and copied  
7 that out and answered it paragraph for paragraph. Let me tell  
8 you what's happening.

9 First of all, we are not being given hearings. We  
10 asked for a hearing at DEP. They fought tooth and nail to keep  
11 us from having a hearing. We appealed that all the way up to  
12 the PA Supreme Court and we were denied a hearing. We went to  
13 the PUC and asked for a hearing and we had motion after motion  
14 to dismiss, to exclude our witnesses, to kick us out of court.  
15 They eventually gave us a hearing but told us we could not put  
16 on any evidence health or environmental impact, which is kind  
17 of the entire hearing. So we lost the hearing because we  
18 didn't present evidence. We appealed that to the Commonwealth  
19 Court and we are waiting for a decision.

20 We have never had the opportunity to have a hearing to  
21 prove these things. We would love one, we invite one because  
22 these scientists that I have mentioned, none of them have a  
23 doubt that this is a dangerous thing to be doing and we would  
24 love to bring them in to testify.

25 DEP's website -- DEP has admitted that they don't do

1 their own testing. They don't do the health test. They leave  
2 that to EPA and the Department of Health. So they are not  
3 looking into those things. They say, if EPA says it's okay,  
4 then we can use it, our facilities can use it and that's fine.

5 So back to the EPA. When you look at the EPA website,  
6 they say monochloramine does not cause cancer. Monochloramine  
7 does not cause respiratory diseases. Monochloramine does not  
8 cause this. And that is all true, but what they fail to talk  
9 about is the rest of the story.

10 The monochloramine speciates to di and tri. We know  
11 that trichloramine is a respiratory irritant. We have the  
12 studies that show that that is causing swimmers asthma in  
13 lifeguards and people that spend a lot of time in pools. It  
14 doesn't talk about the byproducts. It doesn't talk about  
15 hydrazine and iodo acids. They do talk about NDMA and admit  
16 that it may be more toxic than the regulated byproducts. The  
17 problem is, EPA is not finished looking at these things. They  
18 have barely started.

19 I think it's foolhardy for us to put something in our  
20 water. This isn't food that we can choose to eat or not eat.  
21 It's not a product that we can choose to buy or not buy. This  
22 is something we have to live with and these are monopolies. We  
23 can't go down the street and say, I'm going to get our water  
24 from someone else. We have to bathe in our water, drink our  
25 water every single day. To put something that is still being

1 studied because it may be more toxic than what we already have  
2 in our water is crazy.

3 CHAIRMAN BAKER: I really appreciate your passion  
4 and your concern. I would like to get back to an earlier  
5 question. It's a very valid question. If one-third of the  
6 water companies are using this in the nation and there is  
7 reasonable doubt that it's safe, is it because of cost or is it  
8 because of efficacy or -- I'm just trying to figure out why  
9 they still use chloramine instead of what the other two-thirds  
10 of the water companies in the nation use.

11 CODIRECTOR PICKFORD: Well, first, I would like to  
12 say that I'm not sure -- 20 percent or 30 percent has never  
13 seem to carry the day in American society. We usually look for  
14 the majority. The majority is using something else. So,  
15 obviously, we can do that. We can use something else to purify  
16 our water and not use chloramine.

17 I believe, because -- I believe that there might be  
18 areas where they have the THM problems, where they need to do  
19 something and chloramine works to get them into compliance.

20 CHAIRMAN BAKER: It may work better for them to --

21 CODIRECTOR PICKFORD: That may be true. It also  
22 might be true that if they looked at better filtration or a new  
23 plant, if they have a dilapidated plant, they could achieve the  
24 same result without using chloramine. I can't speak to that.  
25 I know that it has happened in places. I believe that the

1 reason is cost. I believe it is easier and cost effective for  
2 the company to use this because it does not dissipate, because  
3 it is more stable than chlorine. But that stability is what  
4 causes a lot of the problems for our environment and for us.

5 CHAIRMAN BAKER: Thank you very much. I know  
6 there are probably other questions and we have other testimony.  
7 Thank you.

8 CHAIRMAN McILVAINE SMITH: Thank you very much.  
9 Rep. Myers.

10 REP. MYERS: Thank you very much. I appreciate  
11 your testimony and like Chairman Baker said, there's a lot of  
12 questions that come to mind. You know, actually, you gave a  
13 good analogy earlier when you talked about, you know, the whole  
14 scenario of do cigarettes hurt. In the years that the  
15 government said no, the companies said no, those who smoke said  
16 no. What actually happened was that through further  
17 investigation, continuing, contrasting and comparing, then it  
18 was a decision that, you know what, really, it does. And I'm  
19 kind of convinced that's where we are today.

20 I kind of agree with the chairman that there's more  
21 than one shot to the story. Personally, I believe the side  
22 that I'm hearing today. I do believe that it is cost driven.  
23 You know, when it comes to means with money, people don't care.  
24 They're putting arsenic in the water and say that arsenic  
25 reduces the byproducts, but we don't care if it kills the

1 people.

2 I think, at least in my thinking, the best way for me  
3 to describe what I'm hearing today is like Stage 1 of  
4 collecting information. I too would like to hear what will the  
5 government players are saying. Why would they allow something  
6 that's toxic as you described to be placed in the water. The  
7 land, water and the air, we don't take care of those then we  
8 don't have to worry about that. So I too would like to hear  
9 some contrast and compare testimony around this.

10 However, like I said in the beginning, I do believe  
11 what I'm hearing today. And I think other folks would have to  
12 convince me that what I heard today is not the truth. But I  
13 think they ought to be able to tell their story so at least we  
14 would get an opportunity to engage them and hopefully prove  
15 some of their cause and effect analysis are not correct.

16 And I just want to close by saying this here, another  
17 parable or another example of how I'm hearing this, because  
18 this is like a lot of cross winds are going on around  
19 corporation versus people. And I clearly remember BP saying  
20 the spill ain't that bad. You know, all of our scientists say,  
21 we are going to be able to get this thing under control in 15  
22 minutes and here, we're at day 60 and it's getting worse.

23 I think that some of the questions about who and why, I  
24 don't think the answers haven't emerged, you know, who want  
25 this and why. That's what we need to find out. And that will

1 give us a baseline for us to go after what we think is the  
2 truth.

3           Again, I just want to thank you for your testimony and  
4 I thought it was somewhat powerful.

5           CODIRECTOR PICKFORD: If I may make another  
6 comment about EPA. When we started this, everybody was saying,  
7 including me, we have EPA and DEP. They're supposed to be  
8 protecting us. Certainly they would not allow this to happen.

9           EPA turned their eyes away from D.C. for years while  
10 huge lead levels were poisoning children in D.C. and that's  
11 still going through, digging to find out what the heck happened  
12 down there. But EPA was telling people that those lead levels  
13 were safe. They were telling them that the water was not a  
14 problem for three years while thousands of children suffered  
15 from lead poisoning and are permanently damaged.

16           I hate to bring up Erin Brockovich. It was PG&E, those  
17 water people told the people that their water was good for them  
18 that this stuff that was in their water that was killing them  
19 was good for them. Unfortunately, we would like to be able to  
20 rely on our water company to keep us safe. We would like to be  
21 able rely on EPA and DEP to do their jobs. Unfortunately, in  
22 the real world, that just doesn't always happen.

23           CHAIRMAN McILVAINE SMITH: Rep. Pashinski.

24           REP. PASHINSKI: Thank you, Madam Chair. I would  
25 like to offer a request that we work towards planning, get some

1 more hearings on this from this committee and I would like to  
2 hear the scientists to prove from the standpoint to the  
3 scientists and then request DEP and the other agencies to be  
4 here. This is too critical to not pursue this thing and be  
5 fully confident to what direction we're going. To which this  
6 would go.

7 CHAIRMAN BAKER: I would concur with that and  
8 perhaps, in fairness, we should also allow one or two water  
9 companies to proper testimony.

10 CHAIRMAN McILVAINE SMITH: Yes, I agree. And the  
11 water companies were invited and also EPA, DEP, and DOH.  
12 Unfortunately Dr. Ostroff from the Department of Health could  
13 not be here. He is in Atlanta.

14 So thank you very much for your testimony. And we will  
15 move on now to Dr. Mark LeChevallier. He is the Director of  
16 Innovation and Environmental Stewardship with the American  
17 Water Corporate Center. Whenever you're ready, Dr.  
18 LeChevallier.

19 DIRECTOR LeCHEVALLIER: Good morning. My name is  
20 Mark LeChevallier and I am the Director of Innovation and  
21 Environmental Stewardship for American Water. What that means  
22 is that Innovation -- I direct our research program and the  
23 Environmental Stewardship is ultimately responsible for water  
24 quality and environmental compliance for the water system.

25 American water is the parent company to PA American

1 Water. And for 30 years I've done research on drinking water  
2 quality. I've published over a hundred papers in the area and  
3 the primary area of my research has been on disinfection to  
4 produce safe drinking water. And particularly, an important  
5 area of that has been the study of the role of chloramine as a  
6 disinfectant. In fact, I, as coauthor of two of the manuals of  
7 practice for application of chloramines through the water  
8 research foundation. So these are manuals of directing  
9 utilities on how to apply chloramine.

10 As American Water, we own or operate over 400 drinking  
11 water systems in the United States and 300 waist water systems  
12 in 35 states in the United States and then two provinces of  
13 Canada. And we have a lot of experience with water treatment,  
14 particularly looking at waters from different locations.

15 I believe the rest of my biography -- I won't go into  
16 more detail. I have been an advisory to EPA. I served most  
17 recently on the Federal Advisory Committee for the revisions of  
18 the Total Coliform Rule, which relates to my chloro water  
19 quality in the distribution system. And I have recently served  
20 on an EPA Committee on a research and information collection  
21 partnership on future research necessary for EPA to continue  
22 their rulemaking process.

23 I also serve as the chair of the American Water Works  
24 Association, that's a professional water industry, as chair or  
25 their research division. I served a number of different



1 capacities in research Advisory Committees, in particularly,  
2 member of the expert panel for the Strategic Initiative on  
3 distribution water quality research, which is particularly in  
4 this area around.

5 As we have already mentioned this morning, the use of  
6 chloramine is not new to the water industry. In fact, that  
7 use, for almost 90 years, Denver water, for example, is a long  
8 history of use of chloramines. And EPA, in 1998, estimated  
9 that 68 million people drink and use chloraminated water  
10 everyday and that number has increased, with a number of large  
11 municipalities having already switched to chloramines in the  
12 last ten years.

13 The chart that we show up here shows along the line, a  
14 number of major cities in the United States, Los Angeles,  
15 Philadelphia, Washington, DC, Boston, St. Louis. In fact, many  
16 communities in the southern part of the United States, the use  
17 of chloramine is a critical part because of the nature of the  
18 water there, the high temperatures, chlorine would react very  
19 quickly to form these disinfection byproducts. So it's fairly  
20 common across the United States.

21 Within PA, 4 million people -- and I if I could have my  
22 lovely assistant come back, I would like to show the PA  
23 locations. You can see on the right-hand side of that, the  
24 long list of communities within PA that use chloramines.  
25 That's typically one out of three people.

1           These utilities that use chloramines as a disinfectant  
2 include York Water Company, which we already mentioned, since  
3 1942; the City of Philadelphia has been adding it since the  
4 70s; Aqua PA and its main division in Suburban Philadelphia  
5 would service more than one million people in Montgomery,  
6 Delaware, Chester and Bucks Counties including Bensalem;  
7 Bristol use chloramines; the City of Lebanon water system adds  
8 chloramines; the Chester Water Authority in Delaware County  
9 also uses chloramine. So it's very likely that members of the  
10 panel here have personal experience in drinking chloraminated  
11 water. This is not an unusual uncommon situation.

12           And so American Water also has extensive experience  
13 with chloramine disinfection. We own and operate approximately  
14 30 systems across the United States including seven systems in  
15 PA that have already been using chloramination. Why is this  
16 controversy now? There's a long history -- why is this coming  
17 to the forefront now? Well, the use of chloramine is needed to  
18 comply with new, more stringent EPA regulations that are  
19 already in effect. In compliance -- the monitoring for  
20 compliance needs to begin by the end of 2012.

21           These new regulations have many different parts so it's  
22 somewhat complicated. The first component of this regulation  
23 requires the water utilities to do what's called an initial  
24 distribution system evaluation, or IDSE.

25           So the IDSE required the utilities to monitor their

1 systems and propose to the EPA and to the state's new monitors  
2 locations that would change from the previous monitoring  
3 locations. So when we look at the existing day -- it's nice to  
4 get such a ringing endorsement on the quality of the water --  
5 but the new regulations will require the utilities to monitor  
6 at different locations. Those that are farther at the end of  
7 the system, where the opportunity for chlorine to continue to  
8 react with the water, will produce high disinfection  
9 byproducts.

10 With that the information at hand, the PA American has  
11 made a decision that it's necessary to make changes in the  
12 treatment to comply with this new regulation.

13 This change is necessarily reduced, the levels of  
14 disinfection byproducts, that EPA has found to cause known  
15 health risks. So the reason that we're doing this is a public  
16 health protection. The basis for regulating disinfection  
17 byproducts goes back to epidemiological studies of human  
18 populations -- and these were published in the 70s and 80s --  
19 that found an association with increases in cancer and bladder  
20 cancer and those that were exposed to high levels of  
21 trihalomethanes. And it is interesting that in those initial  
22 studies, it was studies -- communities that used chloramines  
23 where the baseline had lower rates of disinfection byproducts.

24 So the association was using chloramine as reducing the  
25 THM levels and was part of this overall study design and that's

1 why, let's focus on the concerns around disinfection  
2 byproducts.

3 PA American has evaluated various treatment options for  
4 reduction of disinfection byproducts in its Mechanicsburg  
5 systems. Chloramine was chosen as the -- since it was the best  
6 proven, long history, most cost effective method to reduce  
7 disinfection byproducts in the distribution system. And  
8 Pennsylvania American applied for -- to the Department of  
9 Environmental Protection for all of the permits necessary to  
10 allow chloramine treatment and all of these permits were  
11 received in 2006.

12 PA American evaluated many different options and some  
13 options are very extreme. To filter the water through  
14 membranes, for example, is technologically feasible, but it's  
15 extremely expensive. It produces its own problems with taking  
16 out the minerals that could cause corrosion problems, it has a  
17 side stream. So options were evaluated out of all of these and  
18 the use of chloramines was considered the best. Those permits  
19 were applied and the Department of Environmental Protection  
20 approved of that.

21 In fact, it was in the development of the Stage 2  
22 Disinfection By-Product Rule that the USEPA anticipated many of  
23 the systems would move to the use of chloramine. And in their  
24 regulatory determination and their cost determination for this  
25 rule, made that anticipation; anticipating that the Industry

1 would move from about 30 percent of the utilities in the United  
2 States using chloramines to upwards of 50 or 60 percent. This  
3 is not an unexpected reaction that this would be the most  
4 cost-effective choice that utilities would choose.

5           Compared to free chlorine, chloramines produce  
6 substantially lower concentrations of disinfection byproducts  
7 that the EPA has found to cause known health effects. The  
8 federal regulations that are in affect now are -- to take a  
9 proactive approach. They're moving regulations to lower known  
10 health risks. And so it makes sense once we know what the  
11 solution is, to go ahead and take advantage of water -- the  
12 treatment -- to take an advance treatment so we would lower the  
13 known health effects. Therefore, the water then would meet the  
14 future public health standards.

15           In the review, chloramines, the USEPA reviewed the  
16 safety of chloramine application and established the maximum  
17 level by which that can be applied in water suppliers and  
18 that's a level at four milligrams per liter or four -- four,  
19 which is adequate. Should we emphasize that that's an annual  
20 average of four and USEPA also acknowledged that there would be  
21 times that, for various reasons, water suppliers may have to  
22 have higher levels as long as the annual average was at four.

23           This standard was set at a level which there were no  
24 human health effects expected to occur. That's particular  
25 language that the EPA uses. They did the evaluation of the

1 disinfectants, set this maximum disinfectant residual -- and  
2 that can be found in EPA regulations -- where they made the  
3 determination that there are no human health effects expected  
4 to occur. But what about unknown contaminants? What about  
5 future and ongoing research? EPA addresses this by including a  
6 safety factor because, clearly, at a point when the decision is  
7 made, not all information is known. And EPA is well aware that  
8 their own internal scientists, as well as the rest of the  
9 research industry, is continuing to look at this issue. So  
10 they include this margin of safety to account for the  
11 uncertainties and EPA explains this in their setting of this  
12 regulation.

13           So based on peer reviewed and validated research, the  
14 USEPA, the PA Department of Environmental Protection, PA  
15 Department of Health and other credible health institutions  
16 continue to recognize chloramine as a safe and effective  
17 disinfectant.

18           In 2004, the City of San Francisco made this change to  
19 chloramine disinfection too because of issues around  
20 disinfection byproducts in their system. And during that time,  
21 there were concerns raised, by different community groups  
22 around the health effects, particularly concerns around  
23 dermatitis, which is skin rashes. And the San Francisco  
24 Department of Health investigated these claims and concluded  
25 that there was no credible evidence that these claims were

1 linked to the water that many of the people making the claims  
2 had preexisting skin conditions and that there was no  
3 consistency among the complaints that could be related to a  
4 common cause, like water. And that report from  
5 Dr. Weintraub, I think, has been included in the proceedings  
6 because it is important study that has specifically looked at  
7 these -- some of these health complaints.

8 CHAIRMAN BAKER: Doctor, if I may interrupt just  
9 for a second. Thank you. And I apologize because I have to  
10 leave pretty soon. I noticed in the letter from DEP that the  
11 only cases that were elevated to the court system were in San  
12 Francisco, California and Champlain Water Company in Vermont.  
13 In the outcome of those cases, it was basically to further  
14 research. So it sounded to me somewhat inconclusive.

15 Do you know what, in fact, resulted later -- was there  
16 any follow-up and follow through with additional research  
17 relative to those court cases in those situations?

18 DIRECTOR LeCHEVALLIER: Research on the affects of  
19 chloramines is an ongoing issue. I don't know any specific  
20 studies related to those in particular, but there continues to  
21 be research, research that I have recommended.

22 Since we're studying -- since we have 68 million people  
23 in the United States served by chloramine, it would be an easy  
24 approach to look at communities that are served by chloramine  
25 and those that are not served by chloramines, look at HMO

1 records and compare populations. This is a common approach, an  
2 epidemiological approach that can be used. And there's  
3 research that have been proposed to --

4 CHAIRMAN BAKER: To your knowledge, is there any  
5 conclusive evidence inditing the use of chloramines connected  
6 to illnesses or injury or organ damage or anything?

7 DIRECTOR LeCHEVALLIER: No. The USEPA is  
8 obligated in setting drinking water standards to consider all  
9 known human health effects. If this research was available  
10 inconclusive within the scientific community, based on the best  
11 available science, EPA would be obligated to act upon that.  
12 That does not exist. We have only these antidotal pieces of  
13 information, which are inconclusive.

14 CHAIRMAN BAKER: Thank you and I apologize for the  
15 interrupting.

16 DIRECTOR LeCHEVALLIER: Every water source and the  
17 quality of that water source is different and that's why the  
18 choice of disinfectant treatment process and disinfectant  
19 byproducts must be considered on a case-by-case basis.

20 We have heard some research by Dr. Plewa, who's a  
21 professor of toxicology in that water treatment, the University  
22 of Illinois, and this study came from some analysis of Corpus  
23 Christi, Texas, a coastal community, where iodine was at high  
24 levels in the water, where these iodinated byproducts would  
25 perform. We've tested the water in Mechanicsburg. Iodine is



1 not present. These suspected byproducts would not expected to  
2 perform.

3 The other critical part about the studies was the  
4 sequence in which chlorine and ammonia is added to form the  
5 chloramines. And Corpus Christi was a very unusual  
6 circumstance where the ammonia was added before the chlorine.  
7 That is not typically added.

8 In fact, since pointing that out, they have since then  
9 changed their treatment process and that's because the  
10 stability of some of these compounds that we've heard about are  
11 highly unstable and not formed at the Ph's and the sequence and  
12 the contact times that are found in water. And so it is a very  
13 complexed process. And one has to consider all of the  
14 complexities of the water, the water chemistry and the sequence  
15 of addition in evaluating disinfection byproducts.

16 By drinking water, we're regulated by many different  
17 regulations to produce safe water. And one of the other  
18 important ones for drinking water safety is the Lead and Copper  
19 Rule, which addresses the corrosivity of water primarily to  
20 address concerns about reaching lead or copper that would be  
21 primarily found customer's plumbing. And proper corrosion  
22 control is necessary to reduce the risk of lead, reaching in  
23 copper as well. PA American has extensive experience in this  
24 area.

25 When this Lead and Copper Rule came into effect in

1 1992, many of the water systems and the American Water System  
2 utilized a phosphate based corrosion inhibitor because our  
3 research had shown that was the most effective way to comply  
4 with this regulation and, in fact, has worked out excellent.  
5 The Mechanicsburg system has been in compliance with the Lead  
6 and Copper Rule since 1992, when the rule came into effect and  
7 has used the phosphate based corrosion inhibitor all during  
8 that time.

9 I've heard situations around and Washington, DC was a  
10 very unusual situation. When that utility converted to  
11 chloramines, they had an increase level of lead and that's an  
12 ongoing area of research. Chloramine is thought to be a  
13 component of that. The other complexities is the changes in pH  
14 and alkalinity that they normally see in the water in the  
15 Potomac River.

16 As part of that crisis in Washington, DC, the USCPA  
17 reached out to American Water because of our extensive  
18 experience with water companies across the United States. EPA,  
19 at that point, was proposing a whole series of research and  
20 studies into how to address the situation in Washington, DC.  
21 We advised them that if this was our system we would -- while  
22 the research was great -- we would be advising them to  
23 implement to use phosphate based corrosion inhibitors. We had  
24 over 80 systems that were using this. And in compliance and in  
25 addition, just across the river, the City of Fairfax County was

1 using that same water, using phosphate based corrosion  
2 inhibitors and not having a problem with lead and copper, they  
3 were also using chloraminated water.

4           Based on that recommendation, Washington, DC  
5 implemented the use of phosphate based corrosion inhibitors  
6 in 2004. Within six months, the levels declined and they have  
7 been in compliance with the Lead and Copper Rule ever since.  
8 But why do we not expect this situation to be relevant in PA?  
9 We have been using phosphate based corrosion inhibitors for  
10 nearly 20 years.

11           So in closing, I would like to reiterate that  
12 chloramine has been used for nearly 90 years as a safe and  
13 effective disinfectant. Large cities have been applying  
14 chloramine for many years, in fact, decades, including  
15 Philadelphia and suburbs in York, with no clinical  
16 documentation of adverse health effects.

17           American Water is a strong supporter of ongoing  
18 research. After all, that's my job and we invest over \$3  
19 million a year on drinking water research as well as support  
20 national organizations. So we continue to look -- address  
21 uncertain issues. But at the same time, we have to make  
22 decision today and federal regulations are currently in effect  
23 to address known health effects.

24           And we believe that taking prudent proactive approach  
25 to ensure that our water meets all public health standards is

1 necessary. And the use of availability of chloramine as a tool  
2 to do that is a necessary tool. And we encourage you to  
3 continue to allow water professionals to make those kinds of  
4 decisions. Thank you.

5 CHAIRMAN McILVAINE SMITH: Thank you very much,  
6 Doctor. I have a few questions. I wanted to ask, first of  
7 all, about the E. coli. I know that chloramines are not as  
8 effective in killing E. coli as chlorine. And I know there  
9 have been many outbreaks on lettuce, etcetera. Could you  
10 please speak to that for me with?

11 DIRECTOR LeCHEVALLIER: Certainly. This has been  
12 an area of research because it's a well known scientific fact  
13 that free chlorine is far more effective in disinfecting  
14 microbes than chloramine. So it would seem foolish to use  
15 chloramines. Why wouldn't that be the case? In water  
16 treatment, we essentially have two place where we apply two  
17 disinfectants. One is a primary treatment. And the effect of  
18 the primary treatment is to remove the pathogens from the  
19 water. And so the USEPA recommends -- and utilities generally  
20 apply -- using chlorine or ozone, ultraviolet light or chlorine  
21 dioxide. There's a number of different tools that are very  
22 strong primary disinfectants that will kill the pathogens that  
23 might be present in the source water.

24 The second reason for applying a disinfectant is to  
25 maintain that quality of water as it leaves the treatment plant

1 and travels through the distribution system. And here, the  
2 concern is primarily to prevent growth of microbes on the  
3 inside of the pipes. And so our research -- and we published  
4 this work in the early 1990s and, in fact, won some awards from  
5 the American Water Associations for this insight -- is that  
6 here, now, the rapid action of a disinfectant is not necessary.  
7 The pipes are going to be there for years. And so it's not  
8 necessarily the speed of the disinfectant, but the stability of  
9 the disinfectant to penetrate into the films and after they ate  
10 the microbes is more critical for the secondary part. So it  
11 was a whole change in thinking around disinfection.

12 We want a fast-acting disinfectant but really we would  
13 like to have disinfectant in the treatment plant but really, we  
14 would like to have a slow-acting, persistent disinfectant in  
15 the distribution system.

16 So we find that, in fact, the chloramines are more  
17 effective than free chlorines in activating microbes that are  
18 on pipe surfaces. So there's two different sides. This has  
19 been recently supported by studies by the U.S. Centers for  
20 Disease Control.

21 Legionnaires' Disease is rapidly increasing to becoming  
22 the most commonly reported waterborne pathogen. The U.S.  
23 Centers Disease Control has shown a number of studies including  
24 those done in San Francisco that systems that are on use of  
25 chloramines have a 10-time -- 10-fold less rate of Legionnaire

1 outbreaks and they should be the stability of the chloramines  
2 in penetrating the films that might be on the inside of  
3 plumbing, particularly in hospitals or other institutional  
4 buildings.

5 CHAIRMAN McILVAINE SMITH: Because I know in my  
6 town, when they dumped the chlorine in at the beginning of the  
7 system, out at the treatment plant, that it's my understanding  
8 that they must put more chlorine in at the beginning so when  
9 the chlorinated water gets to the end of the pipeline, it still  
10 has enough oomph in it to kill all of the bacteria and all of  
11 those microbes and the pathogens, etcetera.

12 Do you need to do that with the chloramines, that you  
13 have to dumped more in at the beginning of a system or does it  
14 reduce it, and you put the same amount in and you know that  
15 it'll always get to the end at the same amount, I guess I want  
16 to say?

17 DIRECTOR LeCHEVALLIER: I understand the question.  
18 Well, we prefer not to dump chloramine. We inject it in the  
19 mixing of the disinfectant, which is very important for its  
20 proper effectiveness. But understanding the question about the  
21 addition at the beginning, utilities might approach this  
22 differently.

23 We typically would add a previous disinfectant and then  
24 boost it again at various points in the system so it doesn't  
25 have to dump large amounts at the beginning, but meet it at the

1 end for a particular difference in applications.

2 CHAIRMAN McILVAINE SMITH: Because I know that  
3 there is a difference between the primary and the secondary  
4 disinfectant, if a water company is using chloramines, must  
5 they also have a primary disinfectant use because chloramines  
6 are only a secondary disinfectant, correct?

7 DIRECTOR LeCHEVALLIER: Only in rare cases, the  
8 surface water treatment rural. Another regulation by EPA that  
9 regulates how this disinfection is done would limit the use of  
10 chloramine only in very unique circumstances where the contact  
11 time and the pretreatment would be exceedingly long, which is  
12 very rare. Outside of being able -- a utility that does that  
13 has to prove then, in fact, that treatment process meets EPA  
14 regulations. So it's generally not practiced.

15 Most of the systems use chlorine or ozone as a primary  
16 disinfectant and then maintain a residual. That regulation  
17 requires the water utilities that use surface water to maintain  
18 a disinfectant -- a detectable disinfectant residual throughout  
19 the rest of the distribution system. It is a requirement to  
20 necessarily maintain that chlorine to the end and utilities  
21 that have problems being able to do that could choose a more  
22 stable disinfectant by chloramines to be able to put that --

23 CHAIRMAN McILVAINE SMITH: I'm confused then  
24 because if you say -- it was my word, "dump". I know that  
25 isn't correct -- it's not a technical term. But if you say

1 that treatment plants can put more, whatever the disinfectant  
2 is, at different points along the line, so to speak, then why  
3 do they need to use chloramines? If chloramine is the primary  
4 and secondary, because it is used for both, primary and  
5 secondary disinfection, then why are water companies choosing  
6 to add chloramine as a secondary disinfectant?

7           DIRECTOR LeCHEVALLIER: It's possible to what's  
8 called, boost the chlorine residual. Through the pipes system,  
9 half way through the system of the level, are not meeting the  
10 requirements for maintaining a disinfectant residual. It's  
11 possible, based on the configuration, to reinject chlorine  
12 again and boost it up. And there are systems that do this. So  
13 it's not necessary to go to a use of chloramine simply to  
14 maintain a residual. But each time you boost that chlorine,  
15 you're creating more disinfection byproducts.

16           CHAIRMAN McILVAINE SMITH: And the disinfection  
17 byproducts of chloramine, because there are disinfection  
18 byproducts, known as DBP -- the uses of these wonderful  
19 acronyms. The DBPs of chloramine are not as well know or have  
20 they all been studied and are they all regulated?

21           DIRECTOR LeCHEVALLIER: The USEPA recognizes that  
22 there are unknown byproducts for both free chlorine and  
23 chloramine. And in setting the disinfection by-product levels  
24 for THMs and for haloacetic acids, or HAAs, there are a set of  
25 each of those. It's a group of different compounds. They are



1 not only being set because they know that these disinfectant  
2 byproducts have been associated with human health effects, like  
3 the bladder cancer studies and --

4 CHAIRMAN McILVAINE SMITH: And they were able to  
5 specifically determine that the THMs and the HAAs specifically  
6 created those cancers?

7 DIRECTOR LeCHEVALLIER: No. What they have found  
8 is that, that has been associated with those cancers. The  
9 studies of the byproducts themselves have been focussed on the  
10 individual toxic effects that -- actually it's interesting to  
11 know that those have been associated with the original  
12 bladder -- source of bladder cancer.

13 CHAIRMAN McILVAINE SMITH: So THMs and HHAs have  
14 not been distinguished as the DBPs that have created bladder  
15 cancers?

16 DIRECTOR LeCHEVALLIER: Right. So the EPA uses  
17 those as an overall index of disinfection byproducts because  
18 when efforts are taken to reduce THMs and HHAs, they result in  
19 an overall lowering of all the disinfection by-product. So EPA  
20 has used them not only -- those individual compounds do have a  
21 toxic -- levels of toxicity that --

22 CHAIRMAN McILVAINE SMITH: But I'm confused. If  
23 the THMs and the HHAs have not been specifically determined to  
24 create and cause bladder cancer or other types of cancers in  
25 humans, then why is EPA deciding that we need to no longer --

1 that we have to focus on those byproducts and that we have to  
2 make sure that they're not in our water if we use chlorination.

3 DIRECTOR LeCHEVALLIER: Those byproducts  
4 associated with other forms of cancers and other toxic effects.  
5 The original epidemiological that's associated this with  
6 bladder cancer, the studies have shown that these particular  
7 ones are not related to other cancers.

8 CHAIRMAN McILVAINE SMITH: You just said that. I  
9 do believe that we have you on record saying that these two  
10 byproducts of chlorine were -- that they were the cause of  
11 bladder cancers and other cancers. And so now you're saying  
12 that they are now not. So my question is -- and, of course, we  
13 don't, I don't think, have anybody here from EPA, they were  
14 invited. But we're going to have to find out about that. And  
15 I won't be put you on the spot anymore, but I will ask you a  
16 couple of other things.

17 DIRECTOR LeCHEVALLIER: If I may clarify --

18 CHAIRMAN McILVAINE SMITH: Sure.

19 DIRECTOR LeCHEVALLIER: -- because I think it's  
20 been -- what you just said, I think it's been misquoted. I  
21 said the original epidemiological that looked at the concerns  
22 around disinfection byproducts would do to bladder cancers.  
23 What I just said is that these disinfection byproducts have  
24 been associated with other cancers. It's interesting that they  
25 are not associated, not thought to cause the original bladder

1 cancer that started this entire concern. But they do have  
2 public health concerns.

3 EPA must regulate compounds that have known health  
4 effects and in doing so, setting maximum contaminant levels.  
5 So in doing so, EPA set these levels based on known health  
6 effects.

7 CHAIRMAN McILVAINE SMITH: And what are those  
8 levels again for THM?

9 DIRECTOR LeCHEVALLIER: THM has a combined 80  
10 micrograms per liter and the haloacetic acid, a combined of  
11 those is 60 micrograms per liter.

12 CHAIRMAN McILVAINE SMITH: Okay. Thank you. I  
13 have just a couple of others and then we must move on. Let me  
14 find my notes. You said that chloramines were the most cost  
15 effective and have a long history and that you could use  
16 membranes to take out the chloramination -- I mean, the  
17 chloramines out of the water, but it would be expensive. What  
18 kind of membranes are you speaking of, please?

19 DIRECTOR LeCHEVALLIER: The membrane treatment  
20 would remove the organic carbon, which the chlorine reacts  
21 with. These would be the different categories of membrane  
22 treatment in order to move organic carbon, it would require a  
23 level called nanofiltration or reverse osmosis. Perhaps you've  
24 heard about it.

25 CHAIRMAN McILVAINE SMITH: Yes, I have.

1                   DIRECTOR LeCHEVALLIER: And all of these have a  
2 wave stream that has to be disposed. So that's a concern, what  
3 you do with this concentrated waist. They also remove the  
4 minerals from the water so they cause problems with having to  
5 readjust for the corrosivity of the water after the membrane  
6 treatment.

7                   CHAIRMAN McILVAINE SMITH: Forgive me, but if you  
8 take, say if it were the nanofiltration and those remove the  
9 minerals. Those minerals were good minerals to have in the  
10 water and it would take those good minerals out so then you  
11 would need to put good minerals back in to balance the pH.

12                  DIRECTOR LeCHEVALLIER: The pH and the corrosivity  
13 of the water, yes.

14                  CHAIRMAN McILVAINE SMITH: And then I already  
15 spoke to you about that, about the antidotal evidence. You did  
16 say that a lot of what has been presented as far as chloramines  
17 causing problems that it's been antidotal and there hasn't  
18 really been any scientific studies.

19                  I just have a question because I thought of this  
20 yesterday as I was reading through a lot of chloramine  
21 information. Don't all studies begin with some sort of an  
22 antidote because I know that unless you hear from people that  
23 there is a problem, then why would you study it? And I know on  
24 my end of town, I can name six people that live around me that  
25 are no longer with me, that have all died of cancer. And each

1 one died of a different type of cancer, but we haven't been  
2 able to figure out exactly what caused each of those specific  
3 cancers for each person that died.

4 I think we can all agree in this room that chemicals  
5 cause cancer. That each of us in this room, again, I mean, I  
6 may not -- somebody in this room may have a cold or have a  
7 fever. I may not get it because of my immunities. I have an  
8 immune system that can withstand a lot.

9 Say the person next to me has a lowered immune system  
10 and they will be effected. So I am asking you, I guess, as a  
11 scientist, when antidotal information is brought to bear -- I  
12 mean, somebody has come forward and said I have six that have  
13 died around me from cancer. Wouldn't that start a study of  
14 some sort or couldn't it start a study of some sort, a  
15 scientific study?

16 DIRECTOR LeCHEVALLIER: In the development of  
17 drinking water regulations, the USEPA must consider all of the  
18 available science in making a determination on the safety of  
19 water. In doing so for the development of these regulations  
20 and the Disinfection By-Product Rule of the Stage 2  
21 regulations, as well as determination on use of chlorine and  
22 chloramines, EPA considered all of this information in making  
23 this determination. It's weighing all of the available -- the  
24 weight of evidence of all of the information in coming to a  
25 best decision.

1           So, yes, all of this scientific information as well as  
2     antidotal information is taken together. If we simply look at  
3     a piece of it outside of the context of everything else, it's  
4     possible to come off into a different conclusion, what we're  
5     hearing when you take all of the information together and weigh  
6     it all together. For example, the toxicity that you've heard  
7     about, like I said, are very unique situations that are not  
8     formed, they have been studied as -- Dr. Plewa is a  
9     toxicologist that studied these in laboratory systems, not in  
10    drinking water systems, not in human health effects.

11           So when all of this information is taken together, a  
12    decision is made based on for the safety of water. So, yes,  
13    all of this information is considered in making a sound  
14    decision.

15           CHAIRMAN McILVAINE SMITH: Yes, as long as you  
16    have all of the information. And that, I guess, is my question  
17    because, again, I don't know what caused the six people around  
18    me who died on my street from cancer. I don't know what cause  
19    their cancer.

20           DIRECTOR LeCHEVALLIER: Exactly. But people that  
21    are in decision making positions know that they never have all  
22    of the information. There's always an uncertainty, there's  
23    always some loose ends. You have to take together the  
24    information that you do have in hand and make the best decision  
25    that you can then.

1                   CHAIRMAN McILVAINE SMITH: And just as, for me, a  
2 final comment and please feel free to final comment after my  
3 final comment. I think about how that if one chemical is put  
4 with another chemical and then another perhaps we don't know  
5 with another chemical that's in whatever substance that -- how  
6 do we know how it reacts? And I guess I think of Rachel  
7 Carson. We have the Rachel Carson building here in Harrisburg  
8 just down the block.

9                   Rachel Carson, back in the 60s wrote that famous book  
10 "Silent Spring" which I devoured and I just found it  
11 fascinating that through her studies that we could get rid of  
12 DDT. And yet, DDT is still found in humans and in the  
13 atmosphere and in our soils all the way up to the Arctic  
14 Circle. That's something that I just read the other day.

15                   I found out also that, yes, it was banned -- DDT was  
16 banned in the United States, but third world countries, where  
17 the beneficiary of the chemical companies, sending the DDT over  
18 there to use.

19                   So I thank you so much for your testimony. If you have  
20 a comment after mine, I would be glad to hear it. And Rep.  
21 Pashinski has a question, but did you have any comment on mine?  
22 You don't have to.

23                   DIRECTOR LeCHEVALLIER: It's important to  
24 carefully and prudently make these decisions because they're  
25 complexed and there's many different components. And,

1 therefore, it's important to consider all of the information.  
2 And all of us have been motivated by a desire to protect the  
3 environment and to produce safe water. That doesn't change.  
4 And we want to be making the best decisions.

5 So there will always been ongoing information of which  
6 there will be loose ends. And so that's why we continue to  
7 make the decision now, but research and collect better  
8 information so that it's an ongoing decision making process.

9 CHAIRMAN McILVAINE SMITH: Rep. Pashinski.

10 REP. PASHINSKI: Thank you very much. You've had  
11 some pretty good ideas of how to manage my pool water. A  
12 little light note here just for a moment, but it is serious. I  
13 mean, water, we all need it. It's a matter of life or death.  
14 And I know there has to be safeguards and constant review of  
15 the process.

16 Your testimony, along with Susan's testimony, is very  
17 enlightening here. And I just want to follow through with just  
18 a few questions in remarks.

19 It's obvious now that you have different formulas that  
20 you use in order to purify the water that will be fit for  
21 drinking and that's depended upon the source of the water and  
22 the conditions surrounding in particular reaches; is that fair  
23 to say?

24 DIRECTOR LeCHEVALLIER: I probably wouldn't have  
25 used formula, but yes. We have to consider the water



1 chemistry, the treatment and the process, yes. Each water is  
2 unique.

3 REP. PASHINSKI: And how many different kinds of  
4 chemicals do you use and what are they in these various water  
5 sources?

6 DIRECTOR LeCHEVALLIER: Well, there's many. For  
7 disinfectants, chlorine is the most commonly used in the United  
8 States, chloramine is the second most common, ozone, chlorine  
9 dioxide, ultraviolet light is a light, it's not necessarily a  
10 chemical. But there are coagulants used to cause the particles  
11 of water to stick together. There are polymers that help those  
12 coagulants work. That are adjustments to pH and the  
13 alkalinity, which is the buffering capability of the water.  
14 Florid is added where that's required by state or local  
15 requirements. And that's just a few of the chemicals that are  
16 added. It can be a long list.

17 REP. PASHINSKI: The point being, it has to be a  
18 very carefully scientific method in order to create that  
19 mixture to make sure that that water is pure. And I think all  
20 of us can agree that an improper mixture could definitely,  
21 certainly cause a threat. Chlorine that we use in our pools,  
22 if you use too much, it can be harmful for those that are  
23 swimming. An Aspirin is a wonderful drug that helps us out,  
24 but if we abuse that, it can certainly have terrible side  
25 effects.

1           Here's my concern. I had the wonderful opportunity of  
2 visiting one the water treatment plants back home in  
3 Northeastern, PA. And I can say that my experience with  
4 American Water has been very positive, very accessible. We've  
5 had many discussions about making sure that the water is pure.  
6 And I'm one of these visual learners, so I have to go see it.  
7 And it's a very impressive operation.

8           The thing that was a little concerning to me was that  
9 it's basically operated by maybe one or two engineers in this  
10 huge plant and then everything is done electronically. I'm not  
11 familiar enough or knowledgeable enough to make sure that there  
12 are safeguards placed in there so that when an improper mixture  
13 does become evident, obviously, the proper alarms go on. But I  
14 think all of this now, I'm questioning the systems, primarily  
15 because of BP because there were supposed to be safeguards,  
16 mechanical and electrical safety systems that were supposed to  
17 prevent what happened.

18           I guess what I'm finally coming to is, if chloramines  
19 are cost effective and they sustain that level of protection  
20 longer than this chlorine, why is it that only one-third of the  
21 company is using it and why haven't we been using chloramines  
22 much more actively?

23           DIRECTOR LeCHEVALLIER: Good question. There are  
24 many different facets to that. I'll start by saying, the  
25 chemicals that are added all have to be approved by the

1 Department of Environmental Protection.

2           So unlike your pool -- which you're kind of free to do  
3 whatever you would like to your pool -- the chemicals that are  
4 added have to be certified to be used for water applications.  
5 The operators have to be certified for that application. The  
6 chemicals have to be -- that process has to be approved. They  
7 have to be approved within a particular monitoring area. So  
8 it's not just kind of do it the way you that pleased to.  
9 That's a carefully controlled process because, just like you've  
10 pointed out, it's an important job. One that, as American  
11 Water, we take very seriously because we recognize the  
12 important role we have in the health of the community and the  
13 necessity to provide that safe water 24 hours a day, 7 days a  
14 week, 365 days a year.

15           And so despite the few people that are there, there's  
16 quite an army of people behind that that are monitoring and  
17 providing the quality control and support around that. This  
18 work is not only at the local facility in PA, but water quality  
19 professionals at the state level and then at the corporate  
20 level. And we're constantly looking over each other's  
21 shoulders because of the important responsibility that we do.  
22 And so the integrity of that treatment process is very  
23 important.

24           But the final question was, again, why are more using  
25 chloramines? There was a question before around cost. The

1 addition of chloramine is more expensive than just adding  
2 chlorine alone. You have to add another chemical, you have to  
3 have storage, you have to have delivery and you have to have  
4 regulations around that. So it is an increase in expense on  
5 the overall cost of water. That's a fraction of a penny more  
6 expensive per gallon. So it's not an extraordinary cost.

7 But if you're a water utility and you can meet the  
8 regulations without having to go to chloramines, it's a cost  
9 that is not necessary. So utilities are only implementing this  
10 when it becomes necessary in order for compliance with the  
11 regulations.

12 REP. PASHINSKI: So then are you saying that the  
13 science is getting better to provide a safer product?

14 DIRECTOR LeCHEVALLIER: I would say a certain  
15 amount of the science of this question had come up. When I  
16 started my career, the understanding of chloramine as a weak  
17 disinfectant and free chlorine as a powerful disinfectant would  
18 make it -- why would we use chloramine? That would be silly.

19 Yet, when utilities went to use chloramine because of  
20 the first Disinfection By-Product Rule in 1979, they did it  
21 with their fingers crossed. And when the quality of the water  
22 was fine, in fact, my protocol in the water was improved, they  
23 just thought that was to their good luck. And it was our  
24 investigation of that that said, no, it's not just good luck.  
25 In fact, this disinfectant, when it is applied in the pipe

1 system, actually has an advantage because it's slower reacting.  
2 It's able to penetrate into the pipe crevices and activate the  
3 microbes, and that's actually beneficial.

4 So the science of chloramine is understanding. And,  
5 certainly, the work published recently by the Centers for  
6 Disease Control on the effect of chloramine on reducing the  
7 risk of Legionnaires' Disease is very much an advancement in  
8 the science of water supply. So we continue to advance our  
9 understanding. Both understanding the toxic risks, as well as  
10 the benefits. And this is an overall balance one has to look  
11 at in making a decision on the safety of drinking water.

12 CHAIRMAN McILVAINE SMITH: Thank you very much,  
13 Doctor.

14 CHAIRMAN McILVAINE SMITH: Thank you very much,  
15 Doctor. I really appreciate your testimony today. We will now  
16 move on to our next testifiers. Annette Smith, Director of  
17 Vermont for Clean Environment and Brie Hoblin. Thank you. You  
18 may start when you're ready.

19 MS. HOBLIN: My name is Brie Hoblin, and I live in  
20 Burlington, Vermont. Thank you for the chance to testify today  
21 in support of ending the use of chloramine in our water.

22 I'm here today to tell you about my own experience  
23 living in a water district that uses chloramines to disinfect  
24 the water. My health started to deteriorate in May 2006 when I  
25 started having mild intestinal discomfort. I went to see my

1 doctor, who recommended some diet changes that brought no  
2 relief. Because of the changes in my diet, I increased my  
3 water intake significantly. My symptoms did not improve, and  
4 continued to get worse. I felt more tired and had more  
5 intestinal discomfort, not less. By June, my health reached  
6 crisis levels when I had an episode of intense rectal bleeding  
7 that left me unable to drive myself to the doctor.

8           When I saw my doctor she recommended that I switch from  
9 drinking the tap water to only drinking bottled water. I  
10 ignored her advice, thinking there was no way tap water could  
11 make me feel so terrible.

12           By July, I was extremely weak and started having  
13 dizziness and breathlessness in addition to intestinal  
14 distress. For the rest of the summer I was debilitated by my  
15 symptoms. I lost close to 20 pounds and had severe stomach  
16 pains after trying to eat most foods. The muscles around my  
17 stomach were clenched in a permanent knot, and felt rock hard  
18 to the touch. Eventually I learned to eat easily digestible  
19 food like white fish or pureed squash, the stuff you would use  
20 as baby food.

21           Words cannot describe how weak I felt at this point. I  
22 was too sick to go to work and nearly got fired from my job. I  
23 was unable to garden. I had trouble walking my dogs just a few  
24 houses down the street because I felt like I was going to pass  
25 out. I couldn't vacuum or carry laundry from the washer to the

1 dryer.

2           Exerting myself physically also gave me brain fog and  
3 made it hard for me to concentrate. I spent most of the summer  
4 sitting in a reclining chair or lying in bed while other people  
5 in my family did the things I would normally do. I remember  
6 being scared and wondering if I was dying because I felt so  
7 weak, and had so little energy.

8           Given how much I was suffering, you may wonder why I  
9 didn't take my doctor's suggestion to switch to bottled water  
10 more seriously. The answer is that I thought it was such a  
11 ridiculous suggestion that I didn't feel it was worth trying.  
12 It didn't seem possible to me that something in tap water,  
13 water made safe and sanitized for me by my water district,  
14 could possibly make me feel this sick.

15           In October 2006, I sought a second opinion. This  
16 doctor felt I probably had anemia and maybe an ulcer because I  
17 had experienced repeated intestinal bleeding that summer. She  
18 prescribed 30 milligrams of Prevacid per day.

19           That fall, I was able to sign up for a few college  
20 classes. I continued to be frustrated by my symptoms, and had  
21 to miss so many classes that I needed special accommodations in  
22 order to pass. It's hard to drive yourself to class when  
23 you're seeing black spots in front of your eyes or feel too  
24 weak to carry your own backpack.

25           I continued feeling pretty sick, although I no longer

1 felt quite so intensely weak as I had during the summer of  
2 2006. In July of 2007, I decided I was desperate enough to try  
3 anything, no matter how ridiculous it sounded. After 13 months  
4 of feeling half-dead at age 27, I finally stopped drinking the  
5 tap water.

6           The results were immediate. I felt some sort of  
7 underlying tension leave my body and spent a lot of time  
8 sleeping over the two weeks following. It felt like my body  
9 was detoxifying. The day after I started my bottled water  
10 regime, my doctor did a kidney test that indicated my kidneys  
11 were a little dry. She recommended that I drink more water; a  
12 suggestion that made no sense to me as I routinely drank six or  
13 seven glasses of water a day.

14           The first glass of bottled water I drank surprised me.  
15 After over a year of drinking the tap water with chloramine in  
16 it, I felt like I was drinking water that actually hydrated me  
17 for the first time in months. It tasted wet and refreshing and  
18 surprised me by how different drinking it felt in comparison to  
19 drinking my tap water.

20           After those two weeks of sleeping more than usual, I  
21 had a surge in energy and felt like maybe I wasn't dying after  
22 all.

23           Life improved enough to where on good days I could  
24 carry light bags of groceries again and walk my dogs to the end  
25 of the block. But the dizziness and breathlessness continued.



1 I got more tests done, saw more doctors. I was tested for  
2 anemia twice, but the tests showed I was fine. My doctors took  
3 me off the Prevacid twice because they couldn't see much wrong  
4 with me after performing an endoscopy and colonoscopy. Each  
5 time the doctors took me off the Prevacid, I felt weak and  
6 ended up back in bed again, with intestinal symptoms and  
7 stomach pain, dizziness and breathlessness.

8 By the summer of 2008, I still had some dizziness and  
9 definite times of being incapacitated, but it was not an  
10 ongoing part of my daily life every week. I felt better enough  
11 to take two small vacations that summer, where I was away from  
12 my house for three and four days. Both times I noticed feeling  
13 more energetic and I was capable of doing more physical  
14 activity. It occurred to me that being completely away from  
15 the chloraminated water was what caused me to feel better.

16 My doctor, the same one who told me not to drink the  
17 water, had also advised me to stop showering in it. While it  
18 had taken me over a year to believe that tap water could make  
19 me feel so ill from drinking it, it took me closer to three  
20 years to believe that simply showering in it, and not ingesting  
21 it at all, could also make me sick.

22 Finally, on January 12, 2009, I started showering using  
23 a camping shower bag hung up over our bathtub, filled with  
24 heated filtered water that I bought outside the water district.

25 Again, I was astounded at how huge a difference this

1 change made. Within a week I felt energetic enough to try  
2 running short distances. After a few day, I started seeing how  
3 fast I could walk to class before the dizziness and black spots  
4 happened. I arrived at class that day extremely out of breath,  
5 but not at all dizzy. Once I caught my breath, I felt fine,  
6 and experienced no brain fog, and no breathlessness.

7           After spending a year basically camping in my own home,  
8 in July 2009 I moved out of the water district. Since I was  
9 forced to move, I have regained my strength completely. I have  
10 returned to my normal life and daily activities. I can take  
11 out the trash and lift five gallon jugs of water without a  
12 problem. I can carry wet laundry downstairs to the dryer. I  
13 go on long bike rides with my friends and I hike up mountains.  
14 My symptoms return only when I am re-exposed to the  
15 chloraminated water.

16           You can come to your own conclusions. I know what  
17 caused my symptoms. Knowing that hundreds of people have had  
18 the same symptoms and experienced the same outcome when they  
19 eliminated their exposure to chloraminated water, I strongly  
20 support placing a moratorium on the further use of chloramine.  
21 Thank you.

22           DIRECTOR SMITH: My name is Annette Smith. I am  
23 Executive Director of Vermonters for a Clean Environment, a  
24 grassroots organization that assists citizens in participating  
25 in the regulatory processes and finding solutions to

1 environmental problems in their communities. I live in Danby,  
2 Vermont, but I am a seventh-generation Pennsylvanian. My  
3 mother lives an hour north of here, and I have always been  
4 proud to call Lewisburg, PA my hometown.

5 I would like to thank Madam Chair, Rep. Pashinski and  
6 the committee members who aren't here for hearing my testimony  
7 today on the use of chloramine as a secondary drinking water  
8 disinfectant, and share with you the experiences we have had in  
9 Vermont since the largest municipal water system, which serves  
10 68,000 people, switched from chlorine to chloramine in April  
11 2006.

12 In the last four years, I have read as much science as  
13 I can find about chloramine and its related chemistry, talked  
14 to as many experts as I can track down, learned about water  
15 treatment technologies, and read hundreds of symptom reports  
16 from citizens. Too many are as severe as Brie's. And like  
17 her, many of those symptoms began right after the water  
18 disinfectant changed. People have suffered rashes like  
19 chemical burns, respiratory problems like asthma, and  
20 gastrointestinal problems, all of which disappear when people  
21 stop cooking with, bathing in and drinking their tap water, or,  
22 like Brie, move.

23 After reading the first hundred symptom reports, I was  
24 alarmed. After reading more than 300 symptom reports, I am  
25 convinced that chloramine is toxic, chloraminated water is

1 making people sick, and there are better ways to ensure safe  
2 drinking water than mixing chlorine with ammonia.

3           Here is some of what we have learned and experienced  
4 over the last four years in Vermont: In 2006, I advised  
5 citizens, who contacted Vermont for Clean Environment saying  
6 the water was making them sick, to report their symptoms to the  
7 Health Department and the water district, and I was sure they  
8 would be taken seriously. Instead, they were ridiculed, hung  
9 up on, and dismissed.

10           In 2007, the Centers for Disease Control came to  
11 Vermont and interviewed people who said the water is causing  
12 skin rashes, breathing and stomach problems and loss of energy.  
13 People thought they were dying. The CDC admitted on the  
14 television news that evening that studies for the health  
15 effects people were reporting have not been done. Their report  
16 -- which they said wasn't a report -- found that data gaps  
17 remain.

18           Also in 2007, the state of Vermont's Department of  
19 Environmental Conservation sponsored a water disinfection  
20 conference in which one of the speakers, Dr. Richard Bull, a  
21 highly regarded researcher, talked about a study he did, which  
22 Susan referred to, in which mice were put in chloraminated  
23 water with their heads held above the water, and they all died.  
24 He cited numerous instances in his talk where research had not  
25 been done, and raised serious concerns about chloramine's

1 unknowns.

2 EPA staff confirmed in 2007 that chloramine's  
3 disinfection byproducts are not regulated, except those that  
4 are shared with chlorine, and they told us that EPA is  
5 extremely slow to make changes to regulations.

6 Vermont legislative committees took testimony in 2007,  
7 2008, and 2009. And some of the material in the packet you  
8 have are letters that were presented as part of those  
9 testimonies. Our citizen legislators know people who are  
10 suffering symptoms since the change to chloramine and they are  
11 taking the problem seriously.

12 As a result, in 2008, suffering citizens, my  
13 organization, the Water System Operator, the State Health  
14 Department and the State Water Supply Division participated in  
15 a facilitated series of meetings where we tried to figure out  
16 how to assess whether or not the chloraminated water is making  
17 people sick. All the investigations we suggested were ruled  
18 out as not possible or too expensive. We got nowhere and no  
19 studies took place.

20 In 2009, the legislature required an engineering study  
21 of water systems in Vermont to assess water disinfection  
22 options. Rather than doing an independent investigation of  
23 cost-effective alternatives, the study's authors failed to  
24 identify practical solution.

25 Efforts to engage EPA in a meaningful dialogue about

1 how to address the problems with chloraminated water have been  
2 frustrating and fruitless. Your packet contains a letter from  
3 my organization to EPA and their response. A letter from our  
4 congressional delegation Rep. Peter Welch, Senator Patrick  
5 Leahy and Senator Bernie Sanders all wrote a joint letter and  
6 you can read their response.

7           Citizens in California and New York are experiencing  
8 the same health problems since their water systems switched to  
9 chloramine. We have letters from them in the packet. The  
10 California group has heard over 600 people. That's the San  
11 Francisco area. And people who live in many other states and  
12 countries report the same health effects.

13           Not everyone is affected, and not everyone experiences  
14 the same set of symptoms. Not everyone is affected right away.

15           Doctors are unable to make clinical diagnoses because  
16 health studies have not been done. And the packet contains  
17 letters from doctors to that effect. As a result, health  
18 departments get no formal complaints, and make the claim that  
19 there is no problem.

20           Water system operators are being required to reduce  
21 chlorine's disinfection byproducts because, they say, chlorine  
22 is very reactive. We have learned that chloramine is also  
23 reactive, and the toxic chemicals that can be created in  
24 reaction with chloramine are not regulated in drinking water.  
25 For instance, the way to make rocket fuel, hydrazine, a highly

1 toxic chemical, the formula is to combine chloramine with free  
2 ammonia. Both are present in the Vermont chloraminated system.

3 The carcinogenic nitrogenous compound called NDMA can  
4 be present in chloraminated water systems, and can be created  
5 when chloraminated water reacts with quaternary amines, which  
6 are common chemicals in shampoos and detergents. And my  
7 printed testimony contains links to scientific information  
8 about that.

9 We do not know what is causing people to get sick from  
10 the water. It could be monochloramine itself, which has not  
11 been adequately tested for safety. Monochloramine could be  
12 speciating to di- or trichloramine. And it is well known that  
13 trichloramine and dichloramine both have health effects.  
14 People could be reacting to chloramine's disinfection  
15 byproducts or some other chemical reaction could be taking  
16 place. The Vermont system uses zinc orthophosphate,  
17 hydrofluorosilicic acid, sodium hydroxide, potassium  
18 permanganate, a coagulant, and a flocculent, all in addition to  
19 sodium hypochlorite solution and ammonium sulfate.

20 We do know that once a water system switches to  
21 chloramine, resources are not in place to address the health  
22 problems people experience. They are dismissed as  
23 statistically insignificant.

24 We are aware of new technologies that are coming to the  
25 marketplace that can eliminate the need for chloramine. And

1 there are two pieces of testimony in your packet that were  
2 delivered in April and May at DC WASA, dealing with Washington,  
3 DC from someone who has the technology that they're trying to  
4 get the EPA to take seriously.

5 EPA may be considering new regulations regarding  
6 chloramine and its byproducts, but these changes could take  
7 years to implement. Meanwhile, people are suffering. That is  
8 why you must act to protect the public's health. Even if EPA  
9 decides today that chloramine in drinking water is a bad idea,  
10 it is not an entity that can move quickly where drinking water  
11 regulations are concerned.

12 Dr. David Ozonoff wrote in his letter of 2007 -- and  
13 it's the top letter in your packet -- "health complaints from  
14 water users attendant upon any treatment change are a red flag  
15 and need attention." Our experience in Vermont is that no  
16 mechanisms exist to evaluate and address health effects caused  
17 by chloraminated water, and once a water system switches, it is  
18 nearly impossible to get it to switch back. You would be wise  
19 to avoid the nightmare that has been created by the use of  
20 chloramine for some Vermonters and look for the best  
21 technologies to provide the safest drinking water.

22 Common sense says that we can do better than combine  
23 chlorine and ammonia and call it safe. Science says that  
24 chloramine creates an environment in which complex and  
25 unregulated chemical reactions can take place. You have the



1 opportunity to lead the way in drinking water treatment and I  
2 urge this committee to give water system operators a push  
3 towards using fewer chemicals, while doing everything possible  
4 to protect source water and require precursor removal. The  
5 real solution begins up front by removing the organic matter  
6 with which chemicals react, not by adding more chemicals as  
7 you're sending the water out to customers.

8 Thank you and I would be happy to answer questions. I  
9 also would like to respond to specific things that Dr.  
10 LeChevallier said. I can do that now or in --

11 CHAIRMAN McILVAINE SMITH: Yes, if I could ask  
12 because I forgot to ask Ms. Pickford and I think that you just  
13 mentioned it too, about the mice. Do you know if that was  
14 using monochloramine -- it is. I just got that answer. And I  
15 am just very curious if you could repeat -- you said something  
16 about there's a new system in Washington, DC somebody  
17 presented. If you could just tell me if there's a --

18 DIRECTOR SMITH: It's a technology called  
19 electrocoagulation. It is not a new technology. It's been  
20 around for a long time. It's been developed and perfected by a  
21 company that's trying to bring it to market. They've taken it  
22 to D.C. WASA and they've taken to EPA and they -- it's a type  
23 of technology that can sort of -- think of it as zapping all of  
24 the organic matter upfront. So all of you need is a little  
25 chlorine going out in the distribution system.

1                   CHAIRMAN McILVAINE SMITH: Okay. Thank you. Now  
2 you may respond.

3                   DIRECTOR SMITH: Dr. LeChevallier said that it  
4 would be easy to do it at the epidemiological approach. Now,  
5 when Dr. Bull came to Vermont, the head of people concerned  
6 about chloramine and I said, could we please have lunch with  
7 you. Even though he was clearly the one that everybody in the  
8 room was looking up to, he agreed to have lunch with us. He  
9 said that there's nothing easy about doing an epidemiological  
10 study. And he said that it would be extremely expensive and  
11 it's never going to happen.

12                   So I dispute anybody who says that's easy. If it were  
13 easy, we have been told by state epidemiologists that you have  
14 to have a population the size of Vermont to study it and it's  
15 just enormously expensive.

16                   He referred to a June Weintraub study from California.  
17 That was a phone survey of fewer than 20 people. When the  
18 Citizens Group heard about it, they called to say, we wanted to  
19 participate in this and they shut the study down. It's not a  
20 study. And it's being used by health department over the  
21 country to validate something that was a joke. No scientist  
22 would take that seriously.

23                   He referred Fairfax, Virginia. And I just want to  
24 point out that one of the environmental issues that we're very  
25 concerned about is fish kills. And Fairfax, Virginia is one of

1 the places that Susan Pickford has provided you information  
2 about 90 percent of the aquatic life died in a stream that was  
3 -- that had a water main break from chloraminated water. It's  
4 not just fish, it's all of the aquatic life.

5 He referred to Legionnaires' Disease in reference to  
6 your question about microbial effects. The one thing that  
7 chloramine apparently is very good at is controlling  
8 Legionnaires' Disease, not the other things, but that's -- you  
9 thought that chloramine was only used as a secondary  
10 disinfectant. Dr. Susan Richardson of EPA has told me that  
11 there are very few systems that use chloramine as a primary  
12 disinfectant.

13 The first that I've heard that there are no real links  
14 proven between THMs and HHAs and bladder cancer was today. Dr.  
15 Susan Richardson told me that she feels that most scientists  
16 feel that there's a strong link. However, Dr. Richard Bull  
17 said his talk -- and we can provide you with a transcript of  
18 his talk -- in fact, he does not believe that there has been a  
19 direct connection made.

20 And one of the further things that has not been  
21 mentioned today is the spectrum that's been raised about  
22 chlorine's disinfection byproducts cause of -- alleged cause of  
23 birth defects or pregnancy issues. And it's something that  
24 we've had to deal with in Vermont because the water system  
25 operators come in -- alarmists and say, look, if you make us go

1 back to chlorine, we're going to see an immediate increase in  
2 birth defects. There have been a lot of studies some that  
3 initially showed that there were issues and that's one of the  
4 reasons that we're here today.

5 CHAIRMAN McILVAINE SMITH: Would you -- I'm sorry,  
6 but I just want to make sure that I understood you correctly.  
7 You just said that there would be birth defects if we did what?

8 DIRECTOR SMITH: If we went back to chlorine.

9 CHAIRMAN McILVAINE SMITH: I thought you said  
10 chloramine.

11 DIRECTOR SMITH: Exactly, because after  
12 chloramine, these are the kinds of things that we hear. And  
13 there have been studies that have been done since then that  
14 have pretty much debunked those initial studies. It is -- the  
15 most generous thing that I can say is that it is an extremely  
16 unsettled area. And there are, I think --

17 CHAIRMAN McILVAINE SMITH: If I may.

18 DIRECTOR SMITH: You may, please.

19 CHAIRMAN McILVAINE SMITH: If I could because we  
20 are running behind. But if you would please provide the  
21 transcript from Dr. Richard Bull to Karen Shaffer in Chairman  
22 Oliver's office, that would be most helpful and then she can  
23 distribute that to the rest of us.

24 I thank you so much for your testimony and I thank you  
25 for your testimony. I'm so glad that you are well again. And

1 we will be in touch. I'm looking forward to holding another  
2 hearing. Rep. Pashinski would like to ask a question.

3 REP. PASHINSKI: Thank you, Madam Chairman. And  
4 thank you very much for your testimony. And I also concur, I  
5 am so happy that you're feeling better and enjoying life.  
6 Could we, just for a moment, talk about your situation. In the  
7 community that you lived, any other cases similar to yours?

8 MS. HOBLIN: Yes, I believe that there were other  
9 cases of people having symptoms from chloramine.

10 REP. PASHINSKI: Now, you said I believe there  
11 were. Either there are or not or you either know or don't.

12 MS. HOBLIN: I don't know personally. I don't  
13 have access to, you know, the information about all of the  
14 sufferers.

15 REP. PASHINSKI: Okay. Has it ever been  
16 determined through all of the medical attention that you  
17 received, whether you might be -- and I know we're all unique  
18 in our own special way -- but is there something chemically  
19 within your system that may have triggered that particular  
20 source of water?

21 MS. HOBLIN: The doctors have not found anything  
22 significantly different about me that would account for why I  
23 had such a reaction. And, personally, I would love to know  
24 because I think if there is a specific health condition or  
25 imbalance of enzymes in your stomach or whatever is going on, I

1 think it would be very helpful to know that so other people  
2 would be aware if they had that condition, that this could be a  
3 problem.

4 REP. PASHINSKI: Absolutely.

5 MS. HOBLIN: But no answers have been found.

6 REP. PASHINSKI: What water company supplies your  
7 water to your community?

8 MS. HOBLIN: When I lived in Winooski, Vermont  
9 where I had all of the symptoms, it was supplied by Champlain  
10 Water District. And I moved to Burlington, Vermont, so now I'm  
11 under Burlington's Water District.

12 REP. PASHINSKI: And you don't have a problem now?

13 MS. HOBLIN: I don't have a problem there and they  
14 just use chlorine for their water.

15 REP. PASHINSKI: And obviously, the water that you  
16 used prior to moving, that was tested?

17 MS. HOBLIN: That was not tested.

18 REP. PASHINSKI: That water wasn't tested?

19 MS. HOBLIN: Not specifically.

20 CHAIRMAN McILVAINE SMITH: Tested in which way?  
21 I'm not sure if I understand the question.

22 REP. PASHINSKI: Well, I would have like to have  
23 had the source -- the water source tested to see exactly what  
24 kind of combination of chemicals that were identified within  
25 that water.

1                   CHAIRMAN McILVAINE SMITH: In the Champlain Water  
2 District you mean?

3                   REP. PASHINSKI: Yes, especially where she lived.

4                   MS. HOBLIN: There's other sufferers that have had  
5 Champlain Water District come out and test their water. And in  
6 Champlain Water District, I don't think they've ever found  
7 anything different, specifically, at the houses of sufferers.  
8 But that might be something Annette could address more  
9 effectively than I can.

10                  REP. PASHINSKI: Okay. Thank you. Annette Smith,  
11 you indicated the California study was not legitimate, only 20  
12 people were used in the survey.

13                  DIRECTOR SMITH: Fewer than 20. I can't remember  
14 if it was 11 or 17 and it was just a phone survey.

15                  REP. PASHINSKI: Do you know what the name of that  
16 survey is?

17                  DIRECTOR SMITH: I would find it by Googling June  
18 Weintraub in San Francisco. I don't know the name of the  
19 study.

20                  REP. PASHINSKI: And you indicated that this is  
21 the same study that the EPA is using as a basis for making the  
22 determination about chloramine?

23                  DIRECTOR SMITH: No, this is the study that Dr.  
24 LeChevallier referred to as a study that is being used by state  
25 health departments to justify the use of chloramine.

1 REP. PASHINSKI: And the title of that study?

2 DIRECTOR SMITH: I'm sorry, I don't know the title  
3 of it, but it is something that I can easily provide you with.

4 REP. PASHINSKI: Who conducted it?

5 DIRECTOR SMITH: It was conducted by Dr. June  
6 Weintraub. And to get the full story, I would recommend that  
7 when you do have a follow-up hearing, that you hear from the  
8 head of Citizens Concerned About Chloramine. Her name is  
9 Denise Johnson-Kula.

10 And I would also encourage you in that hearing to make  
11 telephone testimony available because not only Denise, but  
12 other people, especially the scientists that you want to hear  
13 from are very, very busy and will not be able to get here.

14 REP. PASHINSKI: Do you have that contact  
15 information that you can supply to our --

16 DIRECTOR SMITH: I can supply any information that  
17 you would like.

18 REP. PASHINSKI: Thank you very much and good  
19 luck.

20 CHAIRMAN McILVAINE SMITH: Thank you. And I would  
21 just wanted to make a comment also about testing water. When  
22 you test water, if you're taking it to a water lab, you need to  
23 ask them to test for specific things. You can't just hand them  
24 water. And you all may know this, but I'm just putting it on  
25 the record. You just can't hand them the water sample and say,



1 will you test my water for me, because they normally test for  
2 any kind of pathogens, making sure that it's potable so they  
3 don't have any bacteria in it.

4           And I know if you're looking for pH hardness, those  
5 kinds of things, they will test normally, routinely for those.  
6 But if you're looking for the majority, any of those kinds of  
7 organisms, you must ask them to specifically look for those  
8 things and chemicals. You would have to say, would you please  
9 tell me every chemical that you could find. It would be very,  
10 very expensive, but --

11           DIRECTOR SMITH: We actually have done testing.

12           CHAIRMAN McILVAINE SMITH: Pardon me?

13           DIRECTOR SMITH: We did do testing. Last fall we  
14 purchased testing equipment and we went out and we tested the  
15 water in ten different locations in the Champlain Water  
16 District and five different locations in the Burlington System.  
17 And we tested five locations where people are suffering and  
18 five locations where people weren't suffering. We did it over  
19 a six-week period, so we controlled for any -- and what we  
20 found were there were two significant differences between the  
21 two systems.

22           One was that the Champlain Water District has a lot  
23 free ammonia and the Burlington System does not. And we got a  
24 preliminary test for hydrazine in the Champlain Water District  
25 System. We then sent it out to a lab to try and get it

1 analyzed and we came back with a negative.

2           We brought that information to Dr. Richard Bull, and he  
3 said, you know -- excuse me, to Dr. David Reckhow, he said, I  
4 would not actually dismiss that. He said it may be that the  
5 chemical reactions that are taking place are not taking place  
6 in the distribution pipes, they are taking place in the people.  
7 And we have been trying to figure out how to get the people  
8 tested for hydrazine now. And I cannot believe the lack of  
9 intellectual curiosity from doctors, researchers, chemists. I  
10 have never worked on any issue that has so little -- and it's  
11 all about money.

12           CHAIRMAN McILVAINE SMITH: And I wasn't going to  
13 but, I've got to share this. I had some sort of an allergy  
14 that it finds the weakest part of your body. And on my left  
15 leg in my calf area, it will flair up and it gets very itchy.  
16 I went to my doctor many times and she gave me some sort of  
17 steroid. And I didn't realize that a steroid will take away  
18 your melanin in your skin, so now it never tans. But it never  
19 took away the itching and that is what was what the problem  
20 was.

21           But, when I was finally sent to a dermatologist, I  
22 looked her in the eye because she was saying, well, I'll give  
23 you some cream. I said, the cream does not work. There is  
24 something in my body that is rising up and causing this  
25 reaction on my skin and can you investigate and find out what

1 is causing this itching skin because it's driving me crazy? So  
2 she looked me in the eye and said, no. So I agree with you on  
3 that intellectual curiosity because it's all about give them  
4 the cream, get them out and collect the money.

5 Thank you for your testimony and we will have to move  
6 on --

7 MS. HOBLIN: Can I make a quick comment?

8 CHAIRMAN McILVAINE SMITH: Yes, go ahead, quickly.

9 MS. HOBLIN: I had a thought to share with you. I  
10 never got the water tested in the home where I lived, but since  
11 I moved out of the district, occasionally, I have to go  
12 shopping somewhere inside the water district and I often  
13 experience the same symptoms when I have to do that, which  
14 means that my symptoms are not specific to the house. It's  
15 specific to the water.

16 REP. PASHINSKI: Are you suggesting that you're  
17 still drinking that when you go visit?

18 MS. HOBLIN: No. Just to fumes in the air make me  
19 dizzy and breathless in about an hour.

20 CHAIRMAN McILVAINE SMITH: Thank you. Thank you  
21 very much for being here today. I appreciate it. Now, we'll  
22 move on to Lawrence Zinser from Master Water Conditioning.  
23 Thank you for being here today, Larry, and you may proceed.

24 ENGINEER EDUCATOR ZINSER: Madam Chair, ladies and  
25 gentlemen, thank you for the opportunity. I'm from Master

1 Water Conditioning. We're a -- first of all, I'm an Engineer  
2 Educator from Master Water Conditioning. We've been around  
3 since '67. We are a manufacturer of residential, commercial  
4 and industrial water treatment equipment. I have included some  
5 illustrations with my testimony because I also am a visual  
6 person.

7           This presentation will address the use of chemical  
8 disinfectants to treat the public water supply. The reason  
9 that we disinfect the water is to control the presence of  
10 pathogens. Pathogens are biological agents that cause disease  
11 and thereby threaten health and well being of the public.  
12 Pathogens include three principal categories of microbes:  
13 Bacteria, virus and protozoa.

14           Water for public consumption is drawn from two sources:  
15 Surface sources, such as reservoirs, rivers and lakes; and  
16 ground water, which is drawn from the underground aquifers.  
17 The character of these two sources is generally distinguished  
18 between a higher level of organic matter in surface sources to  
19 a higher level of minerals from ground sources.

20           From whatever source, the treatment of the water  
21 typically includes a primary treatment step which is focused  
22 upon removing viable pathogens from the water, and a secondary  
23 treatment step whose purpose is to provide a residual  
24 disinfectant to prevent the regrowth of pathogens as the water  
25 flows through the public distribution system.

1           Since the early 1900s, chlorine has been used as the  
2   disinfectant of choice for primary and secondary treatment.  
3   The reason for this is that chlorine is fast acting in killing  
4   pathogens, it is relatively inexpensive to use, and it  
5   maintains its potency for a reasonable length of time,  
6   especially as compared with ozone, which is used in Europe.  
7   The efficacy of disinfectants is rated as contact times, or CT,  
8   against various pathogen reductions. The CT is the product  
9   multiplication of disinfectant concentration -- usually  
10  represented in parts per million -- multiplied by the exposure  
11  time in minutes. The CT for chlorine for 99.99 percent  
12  reduction of virus, for example, is the number three. This  
13  means that a 99.99 percent reduction in virus can be expected  
14  if the water is exposed to three parts per million of chlorine  
15  for one minute -- three times one -- or to one part per million  
16  of chlorine for three minutes -- one times three.

17           Chloramines have been used as a secondary treatment for  
18  public water treatment since 1917 in Denver, and 1969 in  
19  Philadelphia. In 2002, about 20 percent of water treatment  
20  systems in the U.S. used chloramines, and today, the number is  
21  about 30 percent. The reason that chloramines were first used  
22  was to achieve a longer residual time for public distribution  
23  systems. Chloramines retain their potency much longer than  
24  chlorine.

25           Chloramines consist in a nitrogen atom plus one to

1 three attached chlorine atoms. They are produced onsite by  
2 introducing ammonia to chlorinated water. There are three  
3 members of the inorganic chloramines family: Monochloramine,  
4 which has one chlorine atom, dichloramine, with two, and  
5 trichloramine with three. The amount of each depends upon the  
6 character of the water and the ratio of the concentration  
7 between chlorine and ammonia. In most cases, monochloramine is  
8 the dominant species. It is also the most reactive.

9           Although chloramines are more stable than chlorine,  
10 they are also less reactive and less effective as a  
11 disinfectant. For example, the CT for 99.99 percent reduction  
12 of virus for chloramines is 643, as compared to three for  
13 chlorine. But since chloramines are a secondary treatment, the  
14 exposure time will include all the time that the water is  
15 traveling through the distribution system. The City of  
16 Philadelphia, for example, doses chloramines at about two parts  
17 per million, so the 643 CT factor would be achieved in about  
18 five hours.

19           In 1974, it was discovered that when chlorine combines  
20 with organic compounds in water one result is another family of  
21 products called trihalomethanes, or THMs. These products are  
22 called disinfection byproducts, or DBPs, since they result from  
23 the disinfection process. The organic compounds are called  
24 natural organic matter, or NOM. NOM are primarily humic and  
25 folic acids, which come from the decomposition of plants and

1 animals. NOM is found primarily in surface waters. It should  
2 be noted that NOM, most of it, can be removed from water by  
3 carbon absorption or by ultrafiltration.

4           Trihalomethanes consist in a single carbon atom  
5 attached to one hydrogen atom and three halogens. The halogens  
6 being: Chlorine, bromine, iodine or fluorine. Trihalomethanes  
7 are suspected carcinogens from animal testing. The actual  
8 mechanism that causes this is still being studied. The answer  
9 to this is important so that the results can be extrapolated to  
10 human exposure dangers. The term TTHM refers to the total  
11 trihalomethanes, including all members of this family of  
12 compounds. The EPA has established a TTHM limit in water of 80  
13 parts per billion, which is eight one-hundredths of a parts per  
14 million. With the increased concern for TTHMs, more and more  
15 public treatment facilities started using chloramines as their  
16 secondary treatment, because although chloramines do also form  
17 TTHM from natural organic matter, they do so at a much slower  
18 rate.

19           Chloramines, however, have their own set of concerns.  
20 When chloramines are exposed directly to blood, the blood  
21 loses its ability to bond with oxygen. Consequently,  
22 chloramines are particularly dangerous for hemodialysis  
23 patients and to fish. In both cases, the blood is exposed  
24 directly to the chloramines. In hemodialysis, this danger is  
25 eliminated by a mandatory filtration with carbon to remove

1 chloramines. When chloramines are ingested orally, they are  
2 typically broken down by saliva and gastric juices, so this  
3 threat doesn't appear again. The danger to blood is minimal.

4 Chloramines are also more likely to dissolve lead in  
5 pipes. Chloramines react with lead to produce a soluble plus  
6 three valence lead variety with the soluble form, whereas as  
7 chlorine reacts with the same lead to produce an insoluble plus  
8 five valence variety, which is insoluable. Some recent studies  
9 with rats and monkeys indicate potential danger to the liver  
10 and other organs, but other studies do not.

11 Since 1974 and more recently, there have been growing  
12 concerns for the other DBPs of chlorine and chloramines  
13 disinfection. These are sometimes referred to as TOX or the  
14 total organic halides. They include many compounds that have  
15 not been thoroughly studied, but have the reactive potential  
16 for damage to human health.

17 In closing, there are some relevant facts regarding the  
18 use of chlorine and chloramines: A public water supply and  
19 distribution system requires a disinfection protocol; two,  
20 there is a significant amount of infrastructure currently in  
21 place for the use of chlorine as the primary disinfectant for  
22 public water treatment; three, chlorine is an effective  
23 disinfectant; chloramines are less so; other primary  
24 disinfectants, such as ozone, would require significant  
25 infrastructure investment; four, disinfectants, by their



1 nature, are aggressive to other chemistries, including the  
2 biochemistry of pathogens, and also any other organic matter in  
3 water; and lastly, the important ingredient for trihalomethanes  
4 and for total organic halides is the natural organic matter,  
5 which can be removed from water.

6 Thank you.

7 CHAIRMAN McILVAINE SMITH: Thank you very much,  
8 Mr. Zinser. I'll take the last one first. When you say those  
9 NOMs can be removed from water, how are they removed? What is  
10 the best way to remove those NOMs?

11 ENGINEER EDUCATOR ZINSER: They are used two  
12 primary ways. One is by carbon absorption. The other one is  
13 by membranes. I know that the previous speaker referred to  
14 nanofiltration and reverse osmosis, which do, in fact, remove  
15 some minerals. The primary factors are called molecular weight  
16 cutoff. That is the term that is used to specify which  
17 molecular size is removed by a membrane. And with the  
18 technology today in membranes, you can fine-tune a membrane to  
19 remove certain organic -- levels of organic matter with the  
20 system.

21 CHAIRMAN McILVAINE SMITH: Just out of curiosity,  
22 and maybe you've already said this, but if we use  
23 nanofiltration, say in my water system, West Chester Borough,  
24 if we had a nanofiltration system installed when we were doing  
25 an intake of the well water, and after the nanofiltration, we

1 put in our chlorine or chloramines, then that would be a really  
2 good way to make sure that the water has been effectively  
3 disinfected and also to make sure that nothing buildups on the  
4 pipes within, or would that not?

5 ENGINEER EDUCATOR ZINSER: Two things. The  
6 nanofiltration that was used would remove some of the minerals  
7 from the water, the larger molecular weight minerals, and it will  
8 also remove much or probably most of the organic matter, except  
9 the very soluble forms. Then you would have that organic  
10 matter going through the pipes, but it wouldn't necessarily  
11 remove, what was commonly referred to as biofilm because you  
12 have to have a disinfectant because bacteria are the most  
13 ubiquitous creatures on this planet. They can come from  
14 anywhere. You have to have -- it's a constant battle.

15 CHAIRMAN McILVAINE SMITH: So then the chlorine  
16 could be added in or chloramine, but would they still come up  
17 with those THMs and those other --

18 ENGINEER EDUCATOR ZINSER: That is the actual key.  
19 That's what my logic tells me. The combination of these highly  
20 toxic disinfectants, chloramines, they act -- that's why  
21 they're disinfectants, they're aggressive. And if you put that  
22 with organic matter, the result is DBPs and -- all of these  
23 different types. Why not remove the part of the equation?

24 CHAIRMAN McILVAINE SMITH: Right. And that would  
25 be removed by the nanofiltration?

1 ENGINEER EDUCATOR ZINSER: Yes, ma'am.

2 CHAIRMAN McILVAINE SMITH: Okay. I went through  
3 your testimony last night so I made notes to myself, so I just  
4 have to look at my notes. And then where you said the reason  
5 that chloramines were first used was to achieve a longer  
6 residual time for public distribution systems because chlorine  
7 does not have a long time, right?

8 ENGINEER EDUCATOR ZINSER: Yes, ma'am.

9 CHAIRMAN McILVAINE SMITH: It starts to dissipate?

10 ENGINEER EDUCATOR ZINSER: Yes, ma'am. It turns  
11 into chlorides. It becomes ineffective after a certain amount  
12 of time.

13 CHAIRMAN McILVAINE SMITH: And when you said that  
14 the 643 -- I know that's in here but I can't fine it. But it  
15 was five hours that -- so the City of Philadelphia, for  
16 example, doses chloramines at about two ppm. So the 643 CT,  
17 contact time, factor would be achieved in about five hours. Is  
18 that a good thing, when I know that you put chlorine at a small  
19 dose but within a minute or three minutes, boom, you've got it?

20 ENGINEER EDUCATOR ZINSER: The difference, again,  
21 between the primary and the secondary. The primary, your want  
22 to essentially kill as much off as you can.

23 CHAIRMAN McILVAINE SMITH: Quickly.

24 ENGINEER EDUCATOR ZINSER: The secondary, your  
25 concern now is that you want to minimize -- because you're

1 never going to eliminate it completely. It's never going to  
2 happen. You want to minimize the regrowth of bacteria, virus  
3 and protozoa within the treatment system and if you have breaks  
4 in the pipe or other things, which occur everyday.

5 CHAIRMAN McILVAINE SMITH: And that's where one of  
6 my thoughts came. When we put the chlorine in -- and I know  
7 that it dissipates as it goes along -- in the initial injection  
8 of chloramine -- at least in my town, because I asked my guy  
9 who does this -- they put a lot more in at the beginning so  
10 there will be some at the end. But if they're able to put  
11 enough in there and it's dissipating as it goes and then the  
12 chloramines go in and they're more stable -- oh, gosh, I lost  
13 the question. I was trying to explain it. It'll come back to  
14 me. Because there's a correlation there that I'm missing at  
15 the moment.

16 ENGINEER EDUCATOR ZINSER: Ma'am, one of the  
17 things too that you explained is the level of chlorine. Part  
18 of my -- when I first got out of the drains and went into water  
19 treatment, I dealt a lot with dialysis and I've become very  
20 sensitive to their unique needs. And chlorine levels and  
21 chloramine levels are extremely important. And there had been  
22 occasions where the levels have been arbitrarily -- not  
23 arbitrarily, but have been changed for not a sufficient reason  
24 and when those changes occur, it threatens patients on  
25 hemodialysis.

1           CHAIRMAN McILVAINE SMITH: So when someone is on a  
2 dialysis machine -- it's somewhere in this testimony. I can't  
3 find it fast enough -- they make sure that they are taking out  
4 the chloramines in all of their water because is it fatal for  
5 them if they get chloramines?

6           ENGINEER EDUCATOR ZINSER: It can be fatal. What  
7 they have -- because, as I mentioned, it effects the blood. It  
8 effects the ability to bond with oxygen. The same problem with  
9 fish.

10          CHAIRMAN McILVAINE SMITH: And if someone didn't  
11 know that they had a kidney problem, would they effected by  
12 chloramines?

13          ENGINEER EDUCATOR ZINSER: No, ma'am. This has to  
14 do with the hemodialysis process itself, where the blood is put  
15 into the artificial kidney. And actually, the blood is put  
16 right next to the treatment water through a membrane.

17          CHAIRMAN McILVAINE SMITH: I see. I'm going back  
18 to all of my little notes here. Excuse me for a second. And  
19 the character of the water, that is something that I remember  
20 reading somewhere. When you have a difference in pH in your  
21 water, then chlorine and chloramine, when you're injecting it  
22 in, that can cause chlorine or chloramine not to be as  
23 effective, say, if you have a high pH or a low pH?

24          ENGINEER EDUCATOR ZINSER: Yes, ma'am.

25          CHAIRMAN McILVAINE SMITH: Now, because the low pH

1 -- forgive me, but I'm drawing a blank. The high pH is acidic?

2 ENGINEER EDUCATOR ZINSER: Yes, it's the low pH  
3 that causes chlorine to be less effective.

4 CHAIRMAN McILVAINE SMITH: So low pH, then your  
5 chlorine would not be as effective or chloramines also would  
6 not be as effective if you have a low pH.

7 ENGINEER EDUCATOR ZINSER: Yes. The problem is  
8 that when the chlorine -- the pH is low, it's better as an  
9 oxidizer trying to move iron, but if it's high, it's better --  
10 vice versa.

11 CHAIRMAN McILVAINE SMITH: So when someone is  
12 treating the water to make it potable and to make it safe  
13 drinking water, then the person who is in charge of that,  
14 really has to be aware of the pH.

15 ENGINEER EDUCATOR ZINSER: Yes, ma'am.

16 CHAIRMAN McILVAINE SMITH: -- the iron also? Iron  
17 in the water or --

18 ENGINEER EDUCATOR ZINSER: Iron will make the  
19 chlorine go away. It'll use it to oxidize the water.

20 CHAIRMAN McILVAINE SMITH: Okay. Does it do that  
21 to chloramines?

22 ENGINEER EDUCATOR ZINSER: What, chlorine?

23 CHAIRMAN McILVAINE SMITH: If you have a lot of  
24 iron in the water, would it not also cause the chloramines to  
25 oxidize as quickly as it does with chlorine?

1 ENGINEER EDUCATOR ZINSER: Ma'am, that's a great  
2 question, I would suspect yes, but I don't know that as a fact.

3 CHAIRMAN McILVAINE SMITH: Just a couple of other  
4 things. I was also very interested in what you said,  
5 chloramines react with lead to produce a soluble variety of  
6 lead, whereas chloramine produces an insoluble. So when  
7 chlorine is in the water, it's not reacting -- it's not  
8 leaching lead out of the water; is that correct?

9 ENGINEER EDUCATOR ZINSER: What happens is when  
10 chloramine combines with lead, it almost passivates the inside  
11 of a pipe, if that's where the lead is at.

12 CHAIRMAN McILVAINE SMITH: Passivates means that  
13 it doesn't --

14 ENGINEER EDUCATOR ZINSER: It builds up a covering  
15 of oxidized lead.

16 CHAIRMAN McILVAINE SMITH: But doesn't leach out.

17 ENGINEER EDUCATOR ZINSER: It doesn't get into the  
18 water.

19 CHAIRMAN McILVAINE SMITH: Okay. So the lead  
20 doesn't get into the water, but when chloramines are added,  
21 then it does pull the lead in and it becomes soluble?

22 ENGINEER EDUCATOR ZINSER: Soluble, which means  
23 lead can be in the water.

24 CHAIRMAN McILVAINE SMITH: Okay. That's good to  
25 know. And then it says some recent studies with rats and

1 monkeys indicate potential danger to the liver and other  
2 organs, but other studies do not. Do you have any thoughts of  
3 why?

4 ENGINEER EDUCATOR ZINSER: No, ma'am. And that  
5 was part of -- before I came in, I read a lot of different  
6 studies and I couldn't make heads or tails on it to tell you  
7 the truth. Some said yes, some said no. I really question --  
8 where this is going? That's why I go back and say, well, why  
9 not look at the basic equation? Disinfectant plus a national  
10 occurring matter produces disinfection byproducts. Why look at  
11 all of these -- because they're discovering more disinfection  
12 byproducts everyday, not literally, but everyday they're --

13 CHAIRMAN McILVAINE SMITH: It's sort of like an  
14 error that the things that can react -- I know that when coal  
15 powered plants that put in mercury out into the air, and if you  
16 got more and have other types of chemicals floating around,  
17 now, as we all know, little particles, atoms, carbon atoms,  
18 whatever atoms, they can all band together and create a new  
19 chemical of some sort. I did learn that much in chemistry.

20 And my last one is could public water companies use  
21 other methods such as a reverse osmosis or UV lights to kill  
22 the bacteria as successfully as they do with chlorine?

23 ENGINEER EDUCATOR ZINSER: Osmosis is not going to  
24 kill the bacteria. In fact, dialysis, for example, they have  
25 to be very careful because the bacteria can actually grow



1 through the RO membranes.

2 CHAIRMAN McILVAINE SMITH: ROs aren't taking out  
3 the matter, the NOMs --

4 ENGINEER EDUCATOR ZINSER: It can take out the  
5 matter, but cannot be dependant upon to take out the bacteria.  
6 Ultraviolet light is becoming a much more recognized treatment  
7 for biosides.

8 CHAIRMAN McILVAINE SMITH: Now my last question  
9 because this is something that I thought about. And not to say  
10 that this is the most practical but, if anyone has water that  
11 is being treated by a public water company, if they had some  
12 sort of a carbon filter system at the point of entry of that  
13 water into their home, they could be guaranteed, number one,  
14 that their water is safe, because it has no bacteria in it  
15 because the chlorinated water or whatever came into their home.  
16 But they had a carbon filter in their home right where the  
17 water comes in, then would that keep them safe from the  
18 byproducts, the bacteria, anything else?

19 ENGINEER EDUCATOR ZINSER: When the carbon filter's  
20 force is being used, that's probably a true statement. There  
21 are some organic materials which could go through the carbon  
22 based on their solubility. And after awhile, the bacteria  
23 would start growing in the carbon --

24 CHAIRMAN McILVAINE SMITH: Even though that was  
25 chlorinated? Now, I'm not talking about chloraminated, but

1 chlorinated water that came into your home?

2 ENGINEER EDUCATOR ZINSER: Yes, ma'am.

3 CHAIRMAN McILVAINE SMITH: That's good to know. I  
4 did not know that.

5 ENGINEER EDUCATOR ZINSER: But if the carbon is  
6 cycled periodically.

7 CHAIRMAN McILVAINE SMITH: So back washed?

8 ENGINEER EDUCATOR ZINSER: Well, change actually,  
9 because carbon is an absorber.

10 CHAIRMAN McILVAINE SMITH: Can you back wash  
11 carbon.

12 ENGINEER EDUCATOR ZINSER: Yes, ma'am.

13 CHAIRMAN McILVAINE SMITH: And that wouldn't take  
14 out the things that have built up?

15 ENGINEER EDUCATOR ZINSER: Not necessarily, ma'am,  
16 because many of those organic materials would be absorbed  
17 within the carbon. And, actually, based on the solubility of  
18 the organic matter, you'll soon that the bed will become  
19 stratified with the most soluble being at the bottom or the  
20 least soluble on top.

21 CHAIRMAN McILVAINE SMITH: And how would you know  
22 when to change that carbon then? Would you have to have it  
23 tested or would you decide that every so many days?

24 ENGINEER EDUCATOR ZINSER: Testing is the most  
25 accurate way.

1                   CHAIRMAN McILVAINE SMITH: To test your water?

2                   ENGINEER EDUCATOR ZINSER: Yes, ma'am.

3                   CHAIRMAN McILVAINE SMITH: Okay. Thank you so  
4 much, Mr. Zinser. I really appreciate you being here.

5                   ENGINEER EDUCATOR ZINSER: Thank you very much.

6                   CHAIRMAN McILVAINE SMITH: Now we're moving on to  
7 our last testifier, Dr. Josephine Rakow. Please start whenever  
8 you're ready, Dr. Rakow.

9                   HEALTH OFFICER RAKOW: You know what my name is  
10 and you know I'm a physician and you know that I'm the Health  
11 Officer for Camp Hill. I certainly appreciate being here for  
12 this wonderful opportunity.

13                   This is the 21st century. Since the early 1900s, there  
14 have been major changes in medicine, the automobile industry,  
15 electronic technologies and the water industry, electronic  
16 technologies and the water industry. These changes came about  
17 as a process of evolution and are recorded in decades of  
18 records. They comprise a paper trail of reasons why old  
19 techniques are discarded and better methods are discovered or  
20 invented and adopted. So it is with the disinfection of  
21 drinking water with chloramine. What was used 90 years ago has  
22 been replaced and adopted by many water companies worldwide:  
23 Ozone, ultraviolet radiation, granular activated carbon,  
24 microfiltration, nanofiltration, and reverse osmosis.

25                   Our investigations have shown -- and you know this --

1 the following: Chloramine leaches lead from lead pipes, lead  
2 solder, and lead and brass fittings. An example of this -- and  
3 you are aware of this -- is what happened in Washington, DC in  
4 the years 2001 to 2004, in which thousands of little children  
5 were permanently damaged by lead poisoning, even though it was  
6 denied by the authorities.

7 Childhood lead poisoning is a major preventable  
8 environmental health problem. Elevated lead levels are  
9 associated with harmful health effects ranging from children's  
10 learning disabilities and behaviors, hearing problems, problems  
11 with every organ in the body including seizures, coma and  
12 death.

13 Chloramine is a less effective biocide and is about  
14 2,000 to 100,000 times less effective than free chlorine for  
15 the inactivation of E. coli and rotoviruses respectfully.

16 As we have heard over and over today, the byproducts of  
17 chloramination, namely the n-nitrosodimethylamine -- which are  
18 the NDMA's -- are believed to be the most toxic and carcinogenic  
19 chemical compounds known to man.

20 Nitrates in drinking water at levels about 10 parts per  
21 million is a health risk for infants of less than six months of  
22 age. High nitrate levels in drinking water can cause blue baby  
23 syndrome or methemoglobinemia and recurrent respiratory  
24 infections.

25 You're probably wondering why I'm carrying this green

1 bag today. It's not to match my outfit, I assure you. Water  
2 was the -- water and public health was the theme for the 137th  
3 public health meeting in Philadelphia in November and we  
4 attended along with 13,000 other people. So water is the topic  
5 of the decade. To me, as a physician, the bottom line is,  
6 chloramine is a lesser biocide. And now we're hearing --  
7 everybody knows what MRSA is. MRSA has increased tenfold in  
8 children in the last few years. Are we using a lesser biocide?  
9 Is this coincidence or is this reality?

10 Chloramines are carcinogenic. Chloramine is  
11 cytotoxic. Chloramine is genotoxic. So, to me, the  
12 communities that are using chloramine are a sicker population  
13 than those that are not using chloramine, because chloramine is  
14 cytotoxic and genotoxic and carcinogenic and a lesser biocide.

15 I'm willing to entertain questions if you have any.

16 CHAIRMAN McILVAINE SMITH: I do. And what you  
17 just said, I wrote a question. I think that's interesting when  
18 you listed that chloramines are carcinogenic and cytotoxic,  
19 etcetera. Why aren't chlorines classified the same way or are  
20 they?

21 HEALTH OFFICER RAKOW: Well, as we heard earlier  
22 and we know, the trihalomethanes are responsible because it's  
23 reported for bladder and colon cancers. To answer your  
24 question chloramine is a less biocidal than chlorine. It is  
25 more genotoxic than chlorine. It's more cytotoxic than

1 chlorine.

2 CHAIRMAN McILVAINE SMITH: But not so much more  
3 carcinogenic than chlorine?

4 HEALTH OFFICER RAKOW: I don't know the answer to  
5 that question.

6 CHAIRMAN McILVAINE SMITH: The only reason that I  
7 was asking is because in our area, we've only ever used  
8 chlorine. So I was just trying to get a comparison. And what  
9 you said is very important and I'm glad we have a recorder to  
10 record it, that chloramines are more cytotoxic, etcetera. But  
11 because everyone is so concerned about cancer, carcinogenic is,  
12 for me, sort of at a level playing field. Are chloramines more  
13 carcinogenic than chlorines or vice versa? But if we didn't  
14 know the answer to that, that's something that we should be  
15 looking into.

16 HEALTH OFFICER RAKOW: Yes, we should be looking  
17 into that. As far as public -- as far as the Department of  
18 Health records, the only reports that the Department of Health  
19 will get -- and I'll leave these so you can pass these out --  
20 are the ones on the reportable diseases.

21 Now, the colonic diseases of arthritis, heart disease,  
22 diabetes, and all of those, are not reportable diseases.  
23 Therefore, the Department of Health will not have records from  
24 patients all over the community like they do with the  
25 reportable. The reportable diseases effect public health in a

1 different way. They're infections that can be transmitted and  
2 wipe out a whole community.

3 CHAIRMAN McILVAINE SMITH: So it would be -- the  
4 easy way to understand that then is the reportable diseases are  
5 transmittable diseases. That's why chronic disease is not  
6 reported in the same way because they're not transmittable. If  
7 I have arthritis, you don't have arthritis because I'm sitting  
8 in the same room with you.

9 HEALTH OFFICER RAKOW: Let me give you a sampling  
10 here of what the reportable disease are: AIDS, of course, the  
11 waterborne diseases, anthrax, brucellosis -- I'm just going  
12 down these quickly -- cholera, diphtheria, encephalitis, things  
13 like that are reportable to the Department of Health.

14 As far as chronic diseases, like I said earlier, they  
15 are not reportable. And since chloramine attacks the cells,  
16 the genes -- changes the DNA -- not DNA, DNA. Being genotoxic,  
17 it changes the structure of the DNA. Therefore, I believe that  
18 chloramine increases the destruction of these chronic diseases.  
19 And that's what I said earlier. I believe the communities --  
20 and this would be hard to document -- but the communities that  
21 are using chloramine are sicker communities for chronic  
22 diseases than those that do not.

23 CHAIRMAN McILVAINE SMITH: Right. Like Brie  
24 Hoblin because her's was sort of -- the testifier from Vermont,  
25 when she said that her health was deteriorating but it wasn't

1 transmittable, so it wasn't a reportable instance. Well,  
2 that's very enlightening, actually. I wish that my other  
3 members were here, but I'm going to highlight that in yellow  
4 when send them the transcript because I think that's  
5 interesting.

6 HEALTH OFFICER RAKOW: Now, in the research,  
7 there's so much going on with the scientific community, when  
8 they're all trying to figure out how to get the NDMA's out. The  
9 NDMA is a by-product of chloramination and they're trying to  
10 decide how to get it out of their systems. This is a book, it  
11 says, "Chloramination can form toxic nitrosamine by-products.  
12 Learn what to do about it with Strategies for Minimizing  
13 Nitrosamine Formation During Disinfection." "Nitrosamines are  
14 among the most toxic and carcinogenic chemical compounds known.

15 CHAIRMAN McILVAINE SMITH: So it's back to that  
16 nanofiltration then to try and get rid of those.

17 HEALTH OFFICER RAKOW: And I can't understand for  
18 the life of me, since I am a scientific minded person -- let's  
19 go back to the automobile industry. I don't think anyone came  
20 here today in a Model T Ford. Why are we defending a  
21 90-year-old process when we have advanced far beyond that into  
22 24th century technologies.

23 In the hospital 90 years ago, we had only x-rays to  
24 look inside the body. Now we have ultrasounds, MRIs, CAT  
25 scans, we have advanced beyond the plain old x-ray. When I got



1 out of medical school, only the sulfa drugs were starting to  
2 become effective. We didn't have any other antibiotics. Now  
3 we have third-generation antibiotics. We have transitioned  
4 beyond what was 65 years ago.

5 CHAIRMAN McILVAINE SMITH: And so the technologies  
6 today, we could be using them instead of, as you said,  
7 discussing and defending the use of ways to treat our water  
8 because they are other ways to treat our water now.

9 HEALTH OFFICER RAKOW: Exactly. And it's only 20  
10 percent of the country is using it or maybe it's between 20 or  
11 30 percent. What is the other 70 or 80 percent using?

12 CHAIRMAN McILVAINE SMITH: Chlorine. Well, I  
13 thank you so very much. I know we've run over and I thank you  
14 for your patience because I know you were one of the early  
15 birds along with me. And I thank you for being here and I  
16 thank all of you for being here today.

17 And this committee will take up another hearing for  
18 sure to make sure that we do have EPA and DEP and the  
19 Department of Health to testify and hopefully by then some of  
20 our water companies will come and testify as well. So thank  
21 you and good day.

22 (The hearing concluded at 12:45 p.m.)

23

24

25

1                   I hereby certify that the proceedings and evidence  
2 are contained fully and accurately in the notes taken by me on  
3 the within proceedings and that this is a correct transcript of  
4 the same.

5

6

7

8

---

Kelsey J. Dugo  
Notary Public

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ANY REPRODUCTION PROHIBITED